

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BEFORE THE  
UNITED STATES OF AMERICA  
FEDERAL ENERGY REGULATORY COMMISSION

- - - - - x

In the matter of: :

Review of Small Generator : Docket Number

Interconnection Agreements : AD12-17-000

And Procedures Technical :

Conference :

- - - - - x

Commission Meeting Room 2C  
Federal Energy Regulatory Commission  
888 First Street, Northeast  
Washington, D.C. 20426  
Tuesday, July 17, 2012

The technical conference was convened, pursuant  
to notice, at 9:03 a.m.

STAFF ATTENDEES:

Leslie Kerr, presiding

Arnie Quinn                   Christy Walsh

Elizabeth Arnold           Michelle Davis Tom Dautel

Thanh Luong               Monica Taba

Melissa Lozano

## 1 P R O C E E D I N G S

2 9:04 a.m.

3 MS. KERR: Good morning, and thank you all for  
4 joining us today to share your views on and experiences with  
5 small generator interconnection. This technical conference  
6 was prompted by the Solar Energy Industry Association's  
7 petition for rulemaking, to update the Commission's pro  
8 forma small generator interconnection agreements and  
9 procedures.

10 In Order No. 2006, the Commission encouraged  
11 interested entities to continue to work together on small  
12 generator interconnection issues. This technical conference  
13 is convened to explore possible reforms to the SGIA and  
14 SGIP, to address the issues raised by the SEIA.

15 This morning, we will discuss two aspects of the  
16 Fast Track process in the pro forma SGIP. Specifically, we  
17 will discuss the 15 percent screen in Section 2.2.1.2 of the  
18 SGIP, and the two megawatt eligibility threshold for  
19 participation in the Fast Track process.

20 This afternoon, we will have two additional  
21 panels. The first panel will discuss collection and sharing  
22 of peak and minimum load data. The second panel will  
23 discuss review of upgrades required for interconnection.

24 We will begin with a five minute opening  
25 statement from each of our panelists. After the opening

1 statements, we will have questions from staff and perhaps  
2 from Commissioners. We intend for this to be an active  
3 discussion of possible reforms to the SGIP and SGIA, and to  
4 that end, hope that panelists will explore with us possible  
5 regulatory alternatives that could address the issues raised  
6 by SEIA, and that are consistent with the Commission's  
7 statutory responsibilities.

8           For those of you watching the live webcast or  
9 listening by phone, some of our speakers submitted materials  
10 in advance of the conference. Those materials and the  
11 agenda are available on the Commission's website. We plan  
12 to break for lunch around 11:30 and reconvene for the second  
13 panel at 1:00. We plan to wrap up the conference around  
14 4:00 this afternoon.

15           Restrooms are available at either end of the  
16 hallway behind the elevators. Building management has asked  
17 me to remind everyone that only water and no other food or  
18 beverages are permitted in the Commission meeting room.

19           Now I would like to welcome Commissioner Norris.  
20 Commissioner, do you have any remarks?

21           COMMISSIONER NORRIS: Thank you. Let me just  
22 welcome everybody. I appreciate you being here today to  
23 share with us, and we thank SEIA for bringing this issue to  
24 our attention, or raising the profile of this issue, if you  
25 will.

1           I think this is just a good example of how we  
2 have new technologies that are providing new opportunities,  
3 but operate different than some of the technologies we had  
4 had in the past.

5           So how do we adapt and change operations and  
6 rules to take advantage of those new resources? That's how  
7 I view this issue. So I think you've raised some good  
8 issues about how we -- let's look at the operations, the 15  
9 percent rule, SGIP, the two megawatt rule, and figure out  
10 how to make this work so we capitalize on what I think is  
11 just an emerging solar industry in this country.

12           I think the costs for solar are going to come  
13 down. It's going to become more pervasive as an energy  
14 resource from the DG level to the large scale level. How do  
15 we make changes in operation to accommodate this and  
16 capitalize on it and get it right.

17           So that's what I'm hopeful to learn from what I  
18 hear today, and of course you'll be building a record that  
19 I'll be reviewing with the other Commissioners as well. So  
20 thanks for all of you taking your time to give us input.

21           MS. KERR: Thank you, Commissioner. Now I'd like  
22 to introduce the staff at the table. To my left are Arnie  
23 Quinn and Christie Walsh will be joining us a little later.  
24 Elizabeth Arnold, Michelle Davis and Rachel Bryant. To my  
25 right are Tom Dautel, Thanh Luong, Monica Taba and Melissa

1 Lozano.

2           With that, excuse me, I believe we're ready to  
3 start the first panel. I would like to remind the panelists  
4 to please turn the microphone on in front of you when you're  
5 speaking, and turn it off when you're not.

6           Please also turn your cell phones off when the  
7 microphone is on, as they can interfere with the mics. Of  
8 course, everyone in the audience, including the audience,  
9 please turn off the ringers on your cell phones.

10           The panelists we're happy to have with us here  
11 today are Virinder Singh from enXco, on behalf of the SEIA;  
12 Carl Lenox from SunPower Corporation, on behalf of SEIA;  
13 Michael Coddington from the National Renewable Energy  
14 Laboratory; Tim Roughan from National Grid, on behalf of  
15 Edison Electric Institute; Steve Steffel from Atlantic City  
16 Electric; Jeffrey Triplett, Power System Engineering, on  
17 behalf of the National Rural Electric Cooperative  
18 Association; Jose Carranza from San Diego Gas and Electric;  
19 Michael Sheehan, Keyes, Fox and Wiedman on behalf of the  
20 Interstate Renewable Energy Council; and Rachel Peterson  
21 from the California Public Utilities Commission.

22           Now I'd like to invite our first panelist,  
23 Virinder Singh, to give his opening statement.

24           MR. SINGH: Thank you, Leslie. Okay. First of  
25 all, we'd really like to thank FERC Commissioners, FERC

1 staff for holding this technical conference and paying  
2 attention to this issue. We think it's a very important  
3 issue.

4 My name is Virinder Singh. I'm Director of  
5 Regulatory and Legislative Affairs for enXco. We are a  
6 development company headquartered in San Diego. We are  
7 constructing or have developed about 180 megawatts of solar  
8 and about 4,600 megawatts of wind, and we're engaged in some  
9 other technologies.

10 We think this is a very important issue, and I'd  
11 just like to provide some broader context before people who  
12 are more engineering oriented, take over the discussion a  
13 little bit more as is appropriate.

14 Since Order 2006 was issued in 2005, growth in  
15 solar generation capacity has been absolutely dramatic,  
16 fueled in part by certain state level policies, federal  
17 incentives and declining prices. Overall in the U.S., grid-  
18 tied solar photovoltaic PV capacity grew from 230 megawatts  
19 in 2005 to approximately 2,100 megawatts in 2011, or a  
20 ninefold increase. Total PV generation capacity now is  
21 approximately 4,400 megawatts.

22 The states with the most active sola markets are  
23 those that also have the most assertive policies, including  
24 rebates, requirements, net metering and specific procurement  
25 programs. According to Lawrence Berkeley National Lab, up

1 to 80 percent of grid-connected solar outside of California  
2 occurred in states that they deem as having the most active  
3 or impending solar requirements.

4           Some quick examples. New Jersey now has 15,778  
5 PV projects installed in the state, totaling 770 megawatts,  
6 with another 510 megawatts in the pipeline, meaning it's in  
7 review or there's a commitment letter issued for those  
8 projects. California has 1,000 megawatts of customer-  
9 generated solar generation at 122,000 sites.

10           They've also begun a wholesale generation  
11 procurement program totaling 1,000 megawatts called the  
12 renewable option mechanism, and they have a feed-in tariff  
13 program that totals 750 megawatts. Hawaii has 96 megawatts  
14 of PV generation installed through the first quarter of this  
15 year. 71 megawatts of that was installed over the last two  
16 years.

17           Massachusetts has a 400 megawatt solar  
18 requirement, with expectations of rapid uptake over the next  
19 several years, that we don't have Q data. Hopefully we will  
20 down the road. Finally, Arizona has 448 megawatts of total  
21 installed solar generation capacity by the end of the first  
22 quarter of this year, with the vast majority of that, almost  
23 400 megawatts, installed in the last two years alone.

24           Consequently, we are seeing areas where circuits  
25 are indeed being "walled off," so to speak, from further

1 generation, absent cost-prohibitive upgrades. In Hawaii,  
2 approximately ten percent of circuits now trigger studies at  
3 the 15 percent of peak level.

4           A Green Wire report compared the Islands maps  
5 with red-coded circuits, indicating circuits that require  
6 extensive study, as making the Islands look like they're  
7 coming down with the chicken pox. In California, areas with  
8 particularly strong development characteristics, such as  
9 having available land that can be legally converted to solar  
10 generation from agriculture, has resulted in a concentration  
11 of wholesale DG development in counties such as Kern and  
12 Tulare in the Central Valley.

13           Developers are now hearing about circuits that  
14 are essentially walled off absent extensive study, and the  
15 need to build new lines to accommodate the project Q in  
16 these counties. FERC has recognized the importance of grid  
17 planning in the context of state level RPSs, as evidenced in  
18 Order 1000, which formally takes state renewable portfolio  
19 standards into consideration, in terms of transmission  
20 planning.

21           Similarly, we have arrived at a moment in the  
22 solar industry where all stakeholders must revisit old  
23 assumptions about what the grid can handle, and how the grid  
24 has managed to ensure reliability amid a new state level  
25 emphasis on small-scale clean power generation.



1           In Order 2006, FERC stated that the SGIP and the  
2 SGIA must be revisited periodically, and not less than once  
3 every two years. Stakeholders, including SEIA, did not  
4 revisit both until now, and due directly to the material  
5 impact that the 15 percent of peak threshold is beginning to  
6 exert on implementation of state-level energy policy  
7 priorities.

8           We must revisit. States such as California,  
9 Hawaii and New Jersey have already recognized a need to  
10 revisit old assumptions, to avoid undue discrimination  
11 towards what are relatively new market entrants in the U.S.  
12 power generation sector.

13           We applaud these efforts. We also believe that  
14 national models from FERC can be extremely helpful in  
15 leveraging these efforts, and informing future discussions  
16 in other states that may place a higher priority on  
17 distributed solar generation.

18           California's Rule 21 reforms provide the most  
19 extensive model that is appropriate for balancing the  
20 public's focus on increasing solar generation, with  
21 essential reliability considerations. Regarding the two  
22 megawatt cap on Fast Track interconnection, we support a  
23 standard that relates to the overall screen of 100 percent  
24 of minimum load.

25           That is, Fast Track should be allowed for

1 projects that do not exceed the 100 percent of minimum load  
2 on individual circuits. Also note that the California  
3 Independent Systems Operator has asserted a five megawatt  
4 project size cap for Fast Track.

5           The 100 percent of daytime minimum load standard  
6 is still conservative in avoiding reverse power flows.  
7 Daytime load will almost always be higher than night time  
8 load, so the standard sets a bar above absolute minimum  
9 load.

10           Finally, I want to emphasize that the 15 percent  
11 of peak limit would still where interconnection requests are  
12 not approaching the cap, which are in plenty of places in  
13 the United States. So effectively, the revisions we are  
14 seeking would not affect broad swaths of the U.S. in the  
15 near future. The current standard would only need to be  
16 revisited when its effect is becoming material on both state  
17 policy implementation, as well as ratepayer cost.

18           I guess finally, I want to refer back to this  
19 Green Wire study report on Hawaii. Somebody called the  
20 current 15 percent of peak load cap "a conservative  
21 assumption of a conservative assumption." This leads to two  
22 results. A, an over-investment in distribution  
23 infrastructure, with attendant ratepayer costs.

24           Assuming that costs are ultimately foisted on  
25 projects, costs ultimately foisted on projects will get

1 reflected in market prices that are paid by ratepayers.  
2 Second, we risk a potential short-circuiting of state clean  
3 energy policies. Thank you for your time.

4 MS. KERR: Thank you. Carl Lenox is next.

5 MR. LENOX: Hi. I'm Carl Lenox from SunPower,  
6 representing SEIA. I just have a few brief comments this  
7 morning. Thanks very much again for the opportunity to  
8 address this issue. It's a very important issue for our  
9 industry.

10 And at the outset, I want to make clear that grid  
11 reliability and safety are, of course, of paramount concern  
12 to everyone, and the PV industry has no incentive to  
13 negatively impact reliability and safety. That context is  
14 really critical as we move forward.

15 However, the existing 15 percent of peak load  
16 screen does result in too many projects, which are  
17 technically viable, unnecessarily being placed into a costly  
18 study process. This can be frustrating for developers. It  
19 often kills a lot of projects, and it can increase utility  
20 workloads.

21 The screen that's being proposed here helps to  
22 better define the interconnection process. It's part of a  
23 larger supplemental review process, and passing the screen  
24 does not automatically interconnection. So incorporating  
25 100 percent of minimum load screen by itself really just

1 helps to create a more structured supplemental review  
2 process.

3           Changing the screen will not negatively impact  
4 grid reliability or safety. The main concern is that  
5 changes to the 15 percent of peak load screen can result in  
6 unintentional islanding within the distribution system. We  
7 have put together and circulated a Tentacle white paper,  
8 which discusses why this is not the case in some detail.  
9 That's available on the back table, and I can also speak to  
10 it today.

11           Empirically, we have not seen any evidence of  
12 unintentional islanding issues, even in markets where much  
13 higher distribution system penetrations are routine. For  
14 instance in Germany, where penetrations in excess of 100  
15 percent of daytime minimum load are routine and in fact  
16 reverse power flow is quite routine, we have not seen this  
17 issue.

18           In fact, in that country, in the spring of this  
19 year, we've seen up to 40 percent of the total electricity  
20 demand in the country served by PV predominantly, the vast  
21 majority of which was distributed PV. Just as a small  
22 commentary, we've actually seen PV installed in our country  
23 at a clip of a gigawatt per month or greater.

24           We've also seen that the CPUC and the California  
25 IRUs have agreed with the solar industry, that the

1 supplementary screen will streamline the interconnection  
2 process without negatively impacting safety and reliability.

3 So I would just conclude that SEIA urges FERC to  
4 consider adding the supplemental screen to the small  
5 generator interconnection process. Thank you.

6 MS. KERR: Thank you, and Michael Coddington is  
7 next.

8 MR. CODDINGTON: Well good morning. Thank you,  
9 Leslie, Commissioner Moeller and good morning everyone. I'd  
10 like to give you a little background on the recent report  
11 published last January by Embril, Sandia National  
12 Laboratories, EPRI and the Department of Energy, titled  
13 "Updating Interconnection Screens for PV System  
14 Integration."

15 It's nice to see that there are four of my co-  
16 authors in the audience today, representing each of the  
17 organizations. So during the early development of  
18 interconnection standards, there was a great concern that  
19 the load on distribution feeders will always be greater than  
20 the amount of DG on that feeder, primarily to reduce the  
21 chance of an unintentional island.

22 So it's necessary for utility engineers to  
23 understand what that minimum load level was, so they could  
24 limit the amount of DG on the circuit. Very few, if any,  
25 utilities actually tracked minimum load data, but virtually

1 all utilities do track peak annual load data on circuits.

2           And speaking from experience, 20 years in the  
3 utility industry, that's something I did on a very regular  
4 basis. It's how utilities plan and build new circuits when  
5 that's needed to serve load. So in order to approximate the  
6 minimum load level, engineers use a rule of thumb in which  
7 minimum load is approximately 30 percent of peak load.

8           If you cut that 30 percent in half, you get a  
9 very conservative number that is sure to be lower than the  
10 true minimum load. Now I'm all for rules of thumb and  
11 engineering. I mean they're great for, you know, trying to  
12 understand what the answer's going to be before you do a  
13 detailed study.

14           But you know, as long -- you know these rules of  
15 thumb are great as long as they are based on solid technical  
16 rationale, and I don't believe that this 15 percent  
17 penetration screen really meets that criteria. It tends to  
18 be a one-size-fits-all rule for all feeders.

19           When we talk about photovoltaic systems, we  
20 should be concerned about the minimum load during the period  
21 of maximum PV generation, which is referred to as "solar  
22 noon," and that's going to be between 10:00 a.m. and 2:00  
23 p.m.

24           So there are numerous case studies and  
25 testimonies, which you've heard already some testimony, of

1 large PV systems that have been through detailed studies,  
2 without need for any system modifications.

3           We've seen circuits operating at penetration  
4 levels of well over 50 percent, which seems to be more than  
5 anecdotal evidence that penetration may not be a limiting  
6 factor in deploying PV systems.

7           I believe that the 15 percent of peak load could  
8 be improved as a short-term solution methodology. Moving  
9 toward the minimum daytime load for PV system screening  
10 seems like a reasonable approach, as long as that system  
11 data is available.

12           Longer-term solutions, which I think is  
13 ultimately where we need to focus our efforts, we'll see  
14 advanced inverter technology and Smart Grid systems improve  
15 the landscape for interconnecting PV. So for the short  
16 term, I believe using minimum daytime load information,  
17 again if available, is a reasonable next step in improving  
18 the small generator interconnection procedures.

19           Most utilities use a SCADA system to gather their  
20 load information, and many of those SCADA systems have the  
21 capability to capture a defined history for each feeder, and  
22 again, I speak from experience.

23           That should include capturing minimum daytime  
24 load between the hours of 10:00 a.m. and 2:00 p.m. if  
25 possible. I believe that utilities could utilize minimum

1 daytime load as a significant improvement over this peak  
2 data, again if that data can be realized.

3 I also believe that using supplemental review  
4 screens could be a very helpful approach, primarily to  
5 assist electric utilities in getting through some of their  
6 queue of interconnection requests.

7 Supplemental screens should look at issues such  
8 as voltage levels, location of the proposed system, the  
9 impedance at that location and perhaps the available fault  
10 current level at that proposed location. It's complex,  
11 that's for sure.

12 As the far the question of two megawatts is  
13 concerned, I struggle with that number. I think there's a  
14 question on the table about whether that should be changed.  
15 A seasoned engineer once told me, when I was quite a bit  
16 younger, that I should have a good idea of what the answer  
17 should be before I do the study.

18 I understand now what he meant, and when I see a  
19 system in the megawatts, that certainly is a red flag that I  
20 want to look at a system that is that large. But that's my  
21 personal experience speaking. So for the long term, I see  
22 improved methods for integrating high PV on the distribution  
23 grid, that includes sophisticated modeling systems that are  
24 fast, and require much less time than the systems we use  
25 today.



1           Think of using a PV interconnection easy button,  
2 as it were, with an advanced study tool, and certainly the  
3 national labs, the Department of Energy, groups like EPRI  
4 are working diligently to develop such tools. Finally,  
5 advanced inverters, electrical storage systems, robust  
6 communications and control and a more intelligent grid will  
7 all be part of the long-term solutions. Thank you.

8           MS. KERR: Thank you, and next we have Tim  
9 Roughan.

10           MR. ROUGHAN: Thank you, and I want to thank the  
11 FERC for hosting us here today. It's almost ten years ago  
12 this summer that we had this same discussion, relative to  
13 small gen procedures, and at the time, there was proposals  
14 put forth by the industry suggesting various changes.

15           At the time, it was very important that we all  
16 work together as a group, to come up with what then became  
17 the operative Order 2006. I think the main purpose of my  
18 comments representing EEI is the same process really does  
19 need to be followed. I think there's lots of different  
20 utilities at different places in terms of interconnecting  
21 large amounts of solar.

22           California utilities, up in the Northeast and  
23 Massachusetts, for example, just to help the first speaker.  
24 We have over 850 megawatts of solar proposed, and about 115  
25 megawatts installed in Massachusetts. That 850 megawatts

1 has come about in just the last two years.

2           Two years ago, the largest project we were seeing  
3 looking to be interconnected in Massachusetts were 50  
4 kilowatts, 100 kilowatts. Now it's fairly routine to get  
5 three, four, five megawatt proposals on the local  
6 distribution, local distribution circuits that feed three to  
7 five thousand other customers.

8           The key point of doing the interconnection  
9 analysis, whether with screens or reviews, is to make  
10 absolutely sure that once that system is interconnected and  
11 operating, that it does not affect the customers next door.  
12 This is a very different animal from larger projects that  
13 typically have interconnected to transmission level and  
14 larger and higher voltage systems. When you're connecting  
15 to local 12 and 13 kV systems, you really have to recognize  
16 that there are significant issues out there.

17           Most of the solar projects that we're seeing in  
18 Massachusetts and Rhode Island, because they have similar  
19 subsidies now, are out at the fringes of our distribution  
20 system, because that's where the land is available and  
21 inexpensive to build these projects.

22           Had they been proposed in the load centers, very  
23 different things could occur. But because of where they're  
24 being proposed, it causes significant issues relative to  
25 again, the neighbor's power quality and their reliability as

1 well.

2           So it's important to recognize that at a high  
3 level, and I see today as a repeat of ten years ago, where  
4 we really need to get together with the industry, as the  
5 electric utilities come up with a plan as to how to move  
6 forward and potentially modify the small gen procedures.

7           Because it's very important as we go forward to  
8 continue to support the states that we all work in. You  
9 know, EEI and National Grid and the utilities are very  
10 supportive of the state policies that are promoting  
11 renewable energy, and we have been engaged specifically in  
12 the legislative process to get those policies and procedures  
13 put into place.

14           And working together with the industry, we can  
15 come up with ways to streamline the process. But I think it  
16 is premature to simply change the rules because today, it  
17 appears that it's getting more difficult to interconnect  
18 solar. It's more difficult simply because of the size of  
19 the projects are so dramatically different than just a few  
20 years ago for many parts of the country.

21           When you're talking four megawatts on a circuit  
22 that typically has a peak load of five or six megawatts,  
23 it's a significant impact. The issue of minimum loading is  
24 also concerning to us, because again, it will and can affect  
25 the flexibility of the system going forward, if you now have

1 to maintain a certain amount of minimum load on a circuit  
2 out there.

3 The 50 percent limit was put in place as a  
4 conservative level, to make sure we wouldn't affect the  
5 neighbors, and going forward, whether that needs to be  
6 adjusted or changed is again part of a consensus-building  
7 effort that I think we should probably embark on going  
8 forward.

9 Because there's many issues that do need to be  
10 looked at. You know, we are all working through how we're  
11 going to increase the reliability and safety of our systems  
12 through additional intelligence and communications, the  
13 Smart Grid, if you will.

14 As we go forward, we need to understand how we  
15 need to modify some of those proposals that are already in  
16 front of some regulators, in terms of how to accommodate  
17 additional amounts of renewables, whether it be solar, wind,  
18 landfill gas, biomass, etcetera. There's lots of other  
19 opportunities out there which we really need to properly  
20 address.

21 And in terms of the two megawatt value, again  
22 we're talking circuits where in the locations they're being  
23 proposed, the peak loads aren't very much higher than the  
24 two megawatts. So you really need to get into the details  
25 of the review, to make sure that when you're done with the

1 review and it goes online, it will not affect the neighbors'  
2 reliability and power quality safety.

3           Because once they're online, there's not anything  
4 we can do about them. So we need to be absolutely sure,  
5 when we're done with our studies, that what we've agreed to  
6 through the interconnection agreements will provide for a  
7 highly reliable system, that will produce all the benefits  
8 of renewable energy which the states and the country need,  
9 but conversely also work well with the utility distribution  
10 system in the area, to maintain that high level of  
11 reliability that our customers have grown so accustomed to  
12 over the past few decades. Thank you.

13           MS. KERR: Thank you, Tim. Next we have Steve  
14 Steffel from Atlantic City Electric.

15           MR. STEFFEL: Thank you very much for the  
16 opportunity. I'm Steve Steffel with PEPCO Holdings, Inc.  
17 Atlantic City Electric is one of our utilities, as well as  
18 Delmarva Power in the PEPCO area, right here in Washington,  
19 D.C. All of our areas are experiencing solar integration.  
20 We've got about 150 megawatts total right now, and  
21 increasing rapidly.

22           We do support solar integration. We've made the  
23 SEPA Top Ten List with Atlantic City Electric for the last  
24 couple of years, and while PHI supports increased solar and  
25 other distributed energy resource additions, and we do have

1 a number of other ones that apply to and we have to  
2 accommodate all of them, we remain focused on maintaining a  
3 reliable grid for customers.

4           PHI is supporting a lot of the efforts that  
5 develop advanced technology. In inverters, we've already  
6 worked with one inverter company to develop new software.  
7 We're working on advanced modeling programs so that we can  
8 actually assess grid impact very quickly for applications.  
9 We have measurement data collection systems out there.  
10 We're working on new communications.

11           We want to accommodate all the renewables that  
12 want to come on the grid safely and reliably. One of the  
13 things, though, that is a takeaway, if we do have  
14 installations that cause negative impacts on the grid, it  
15 will ultimately hurt the solar industry or those industries  
16 that are attempting to put that type of equipment on the  
17 grid.

18           We do have a lot of pending systems, and so  
19 that's some of our focus. One of the things I'd like to  
20 mention and point out, and it is available in the handouts,  
21 but we're just going to touch on some of the highlights, on  
22 hosting capacity.

23           EPRI just did a recent study on one of our rural  
24 feeders, and the study came back that the minimum hosting  
25 capacity could be as low as 3.3 percent, depending on where

1 you put the inverter-based systems, the solar systems.

2 Then they compared it to an urban feeder, and the  
3 urban feeder was similar voltage, similar load and peak.

4 Had a much, much different, much higher hosting capacity.

5 So this is something that we've got to keep in mind, is that  
6 there are all kinds of feeders out there with different  
7 characteristics and different hosting capacities.

8 One example I'll give, and it's also on our  
9 handout, we just experienced that. We have a system that  
10 1.3 megawatt AC PV system, 1.8 miles out from the  
11 substation. This particular feeder, we know that typically  
12 it's around 30 percent the minimum load to the peak load.

13 But this particular feeder had a 15 percent  
14 daytime minimum load. It's quite an anomaly. There's not a  
15 lot of feeders like that, but this one had a lot of  
16 industrial customers. So we experienced in the spring time,  
17 when you typically have your maximum output, there was some  
18 reverse flow on this feeder.

19 It wasn't anticipated by our planning engineers  
20 and it had passed the screens, and it had gone in without  
21 any detailed study. Well, it caused reverse flow on a  
22 voltage regulator right outside the substation. That  
23 regulator went to maximum raised position on the feeder, and  
24 it caused damaging high voltage for several closer-in  
25 customers.

1           Even though the inverters tripped later on at the  
2 solar site, the closer-in customers experienced high voltage  
3 and actually resulted in significant damage to equipment.  
4 So it is very possible to have that condition, and there's  
5 other, many other feeders, irrigation feeders, different  
6 types that have loads that area not predictable.

7           Economic changes. These particular industrial  
8 loads on this feeder probably operated seven days a week,  
9 cut back on the weekends, and resulted in this situation.  
10 One of the other things is that this can occur on any  
11 feeder, where you have a voltage regulation zone.

12           If you don't have the voltage regulator set up  
13 for reverse flow from a co-gen unit or a PV unit, you can  
14 experience the same problem, and there's voltage regulators  
15 on feeders that haven't been set up for this type of  
16 phenomena. So you can have little ones, big ones that cause  
17 that.

18           In summary, the 15 percent screen is good for the  
19 vast majority of circuits, and should be maintained.  
20 However, it should not be viewed as a failsafe screen, and  
21 utilities should have the discretion of doing further study  
22 when initial investigation warrants.

23           A situation in the case study can easily be  
24 repeated on feeder regulation zones by the addition of small  
25 or large PV systems in aggregate, causing reverse flow on a



1 voltage regulator not set up for that condition. As more  
2 and more solar is integrated over the period of time, the  
3 historical peak, the daytime loads become masked and screens  
4 become more difficult to use accurately.

5           And hence, the need for very conservative  
6 screens. The more you want to go away from conservative  
7 screens, the more time it's going to take, and you're not  
8 going to have a quick assessment tool. DA and  
9 reconfiguration schemes must also be considered, and our  
10 utility has a goal of putting that in across the board to  
11 increase reliability.

12           Systems less than two megawatts can have a  
13 significant impact, as we just saw in that example, so the  
14 two megawatt threshold should remain. That concludes our  
15 comments.

16           MS. KERR: Thank you. Next is Jeffrey Triplett  
17 from Power System Engineering, on behalf of NRECA.

18           MR. TRIPLETT: Well thank you to the FERC staff  
19 and the Commission for the opportunity to speak on behalf of  
20 the National Rural Electric Cooperative Association. The  
21 question on the table today is whether or not the existing  
22 SGIP screens, and in particular the 15 percent screen, still  
23 provides a valid means to determine whether or not an  
24 interconnection should be chosen for a Fast Track process,  
25 or whether it warrants further study.

1           And the existing screen, if you look at the last,  
2 since the screens have been implemented, the proof of what  
3 they've been able to achieve, the screens have shown that  
4 they are sufficiently conservative, such that PV and other  
5 generation that has been interconnected with systems on an  
6 expedited Fast Track basis hasn't proven to cause harm to  
7 the system.

8           But it's not shown itself to be so conservative  
9 that generation interconnections can't get into the Fast  
10 Track process. Thousands, in fact, have qualified for the  
11 Fast Track process and have been done through that process.

12           Those that did require further study, because  
13 they didn't pass a screen, were able to be accommodated  
14 through the study process by determining what the issues to  
15 the system were and then developing solutions to those  
16 issues.

17           If we look at what has changed since the original  
18 screens have been created, nothing material has changed in  
19 the utility industry as far as how we design and operate the  
20 electric utility system. Nothing material has changed in  
21 the way that generation is interconnected with our systems.

22           What's changed is that we have a lot higher  
23 penetration of DG on the systems, and that's what's  
24 warranted the review of this screen. Review is a good  
25 thing. We should periodically review these things to

1 determine if they're still meeting the needs that they were  
2 originally intended to meet.

3           But the fact of the matter is most utilities,  
4 especially the rural electric cooperatives that NRECA  
5 represents, do not have significant experience with high  
6 penetrations of DG. It just hasn't happened yet.

7           There certainly are places in the country that  
8 have been mentioned here, earlier in discussions, that have  
9 seen high penetrations of DG, and I'm sure that there are  
10 some utilities that have more comfort level with those  
11 penetrations.

12           But in general, the industry as a whole is not  
13 ready for high penetrations without certain types of screens  
14 to determine whether study is required of those high  
15 penetrations. If we look at adding supplemental screens to  
16 the process, especially those as proposed, it undermines  
17 good utility planning.

18           When we plan the system, we plan it to not  
19 operate at its operational limits. We have safety margins.  
20 We have certain levels of safety and reliability that we  
21 have to afford our customers. If we operate the system near  
22 its thresholds, then we're not doing our due diligence as  
23 utilities and utility planners, to ensure safety of the grid  
24 and the consumers connected with it.

25           If we look at the 100 percent of minimum load

1 supplemental screen that's being proposed here, just on the  
2 surface you can see that it's right at a threshold. One of  
3 the concerns associated with interconnections is reverse  
4 power flows, as we heard another panelist speak to.

5           At 100 percent of minimum -- at 101 percent of  
6 minimum load, reverse power flows occur. So we're operating  
7 right at a threshold, and operating at that threshold  
8 without allowing study, to determine what impacts to the  
9 system might happen should 101 percent of minimum load be  
10 achieved, which is pretty easy on the utility system to see  
11 changes in load over time, is just not doing due diligence  
12 in the planning of the system.

13           If we look -- there's lots of other technical  
14 reasons why looking at the proposed supplemental screens  
15 cause concerns. I've submitted those in a written  
16 statement, so I won't go into those technical reasons just  
17 at this time.

18           But there are certainly better alternatives to  
19 reviewing these screens, and whether or not supplemental  
20 screens are required. As I mentioned, it is good to review  
21 this process, to determine if it's still meeting the needs.  
22 There are working groups, IEEE 1547 working groups right now  
23 that are working on similar issues.

24           1547.7 is reviewing the system impact study  
25 requirements, what should trigger those types of studies,

1 routine studies and advance studies. 1547.8 is looking at  
2 high penetrations of DG and what might need to be done to  
3 accommodate those safely with utility systems.

4           These types of working groups with technical  
5 experts is really the perfect forum to be talking about  
6 these screens and what changes might need, and I would  
7 encourage everyone to consider letting those working groups  
8 work through their process, to determine what changes might  
9 be useful. Thank you.

10           MS. KERR: Thank you. Next we have Jose Carranza  
11 from San Diego Gas and Electric.

12           MR. CARRANZA: Good morning. I want to thank the  
13 Commission for the opportunity to participate in today's  
14 technical conference in behalf of San Diego Gas and  
15 Electric. My name is Jose Carranza and I am the Electrical  
16 Distribution Planning Manager for San Diego Gas and  
17 Electric.

18           I'd like to say that SDG&E has an extensive  
19 experience with connecting small-scale net energy metered  
20 solar projects in its service territory, and is a signatory  
21 to the California Public Utilities Commission Rule 21  
22 settlement.

23           SDG&E believes that the current Fast Track  
24 program, including the 15 percent screen and the two  
25 megawatt limit, provides a workable and efficient means of

1 facilitating the interconnection of small generating  
2 facilities. SDG&E's experience with the current Fast Track  
3 process does not necessarily mean that there is not room for  
4 improvement.

5           However, SEIA's proposal would not be an  
6 improvement in our opinion. The proposed changes to the  
7 megawatt limit and load screens do not take into account  
8 that all systems are not the same, especially the  
9 distribution systems.

10           The changes would likely violate the technical  
11 and operating limitations imposed by our distribution  
12 system's electrical characteristics, and thus be unworkable  
13 in many instances.

14           Examples of unacceptable operating conditions  
15 that must be avoided when interconnecting generation  
16 include, but are not limited to, over-voltage conditions,  
17 under-voltage conditions during transient generation,  
18 because our equipment does not respond fast enough,  
19 especially if there's regulation on circuits.

20           Conditions that cause those type of situations to  
21 happen are when clouds or marine layers occur, as such is  
22 the case in San Diego. Many days, there's a marine layer  
23 that comes in and lasts for the whole day.

24           So in regards to Rule 21, the CPUC Rule 21  
25 distribution interconnected settlement concludes that the

1 initial phase of the CPUC process for revisiting the  
2 interconnection rules, and is not the ultimate solution of  
3 how to improve the interconnection process in California.  
4 We still have a lot of work ahead of us.

5           There are two interdependent phases. Phase 1,  
6 which we're wrapping up, establishes the framework of the  
7 interconnection process. Phase 2 will address several other  
8 salient issues that remain on the table, which includes  
9 further revisions that we anticipate will be the 15 percent  
10 threshold screen. We're probably going to revisit that in  
11 the next few months.

12           As part of the Rule 21, we revised the  
13 supplemental, we created a supplemental review and  
14 associated technical screens. The supplemental review is  
15 triggered when an interconnection applicant proposed  
16 generating capacity causes the aggregate generation capacity  
17 on a line section, not the circuit, to exceed the 15 percent  
18 peak load.

19           There's been a lot of discussion about the 15  
20 percent and 100 percent minimum load here, but what's  
21 forgotten to be mentioned is it's of every line section  
22 protected by an automatic device. That could be a fuse;  
23 that could be a recloser; that could be a circuit breaker.

24           So we've got to make that differentiation, that  
25 it's not just the load on the circuit. It's the load on

1 every line section. The supplemental review looks at the  
2 level of penetration of self-generating capacity, as I  
3 mentioned, measured against 100 percent of the line section  
4 minimum load. Again, I want to stress that, because it's  
5 very important that we understand that it's the line section  
6 minimum load.

7           We've got to consider whether the power quality  
8 and the voltage can be maintained within the defined limits,  
9 when we allow 100 percent penetration, and whether any  
10 additional safety reliability impacts are present.

11           The new 100 percent of line section minimum load  
12 screen is applicable only to projects undergoing the  
13 supplemental review. So if you come in and you're above the  
14 megawatt limit, the two megawatt limit, or the 15 percent  
15 threshold, you will go into a supplemental review.

16           In the supplemental review, 100 percent of the  
17 line section minimum load screen is a screen that we have,  
18 but we must consider it along with other screens, which we  
19 call the power quality and voltage test screens for  
20 reliability and power quality verifications.

21           The Screen O and Screen P, which is the power  
22 quality and the reliability tests that we have built into  
23 the Rule 21, in 100 percent of the line section minimum  
24 loads screens are interdependent. We can't do it without  
25 each other. Without the Screen O and Screen P, the 100



1 percent of the line section would be problematic, as there  
2 is no way to verify that the power quality and the  
3 reliability are impacted.

4           It's very important for the safe operation and  
5 reliability operation of our systems that we do that. The  
6 15 percent threshold screen continues to function well as a  
7 rule of thumb, permitting interconnections without  
8 additional study, and has been left in place in the initial  
9 review component of the Fast Track process.

10           The 15 percent threshold screen rule should not  
11 be replaced by 100 percent of the line section minimum load  
12 screen. As mentioned earlier, it puts us right up against  
13 the limit of our distribution system, would could cause  
14 problems if load should go away. So we've got to be very  
15 considerate of how much load is on a circuit, because it's a  
16 snapshot of today when we do the studies. Tomorrow may be  
17 different.

18           Speaking for SDG&E and its distribution system  
19 limitations, the current Fast Track program, including the  
20 15 percent screen and the two megawatt limit, provides a  
21 workable and efficient means of facilitating the  
22 interconnection of small generating facilities to SDG&E's  
23 distribution system.

24           SEIA's proposal could potentially slow the Fast  
25 Track process for all projects, especially if the two

1 megawatt limit is raised to ten megawatts or done away with,  
2 as is proposed. Such a removal of those limits could  
3 increase the generation size that is being proposed and  
4 thus, since it's moving away from the two megawatt limit,  
5 potentially also increase the number of projects that are  
6 failing to go through Fast Track, and impact our work flow.

7           Data on minimum daytime loads for periods between  
8 10:00 a.m. and 2:00 p.m., as mentioned earlier, is not  
9 readily available for line sections of the distribution  
10 system. We don't have monitoring equipment everywhere. We  
11 don't have SCADA everywhere.

12           We typically install SCADA at the substation. It  
13 may be midway down the circuit, it may be at a tie at the  
14 end of the circuit. But you have many branches of circuits  
15 that do not have any type of load monitoring on them.

16           SEIA's proposal to use less rigorous screens and  
17 limits may not be reasonable, given our distribution  
18 limitations. The screens in the Rule 21 settlement were  
19 developed to provide the flexibility that helps address the  
20 differences in each IAU's distribution system, differences  
21 such as distribution system design, equipment, operational  
22 differences among each utility. Even in California, the  
23 three utilities have different ways of operating our system.

24           The differences impact the amount of penetration  
25 that can be safely and reliably interconnected onto our

1 distribution systems. Other factors that may impact the  
2 penetration levels on the distribution system include, as I  
3 mentioned earlier, the size of the generation, the location  
4 of where the interconnection is occurring on the circuit,  
5 the amount of load on a line section, especially on minimum  
6 load days, and where we don't readily have that information  
7 available, as may have been thought previously.

8           The distribution system voltage also plays a big  
9 part in the amount of penetration that could be afforded in  
10 a circuit. The higher the voltage, the stiffer the circuit,  
11 potentially allowing penetration to go up. Not all of us  
12 have the same voltage on our distribution system across our  
13 systems.

14           Length of feeders and branches play another big  
15 role, and to make things a little more complex, not all of  
16 our circuits have the same design and capacity built into  
17 them. So I guess what I'm trying to say here is our systems  
18 are different, and interconnecting into our systems is not  
19 an easy thing. It's a complex thing that we have to study.

20           We believe at this time that a rulemaking is  
21 premature. We believe that potentially the Commission  
22 should continue to explore putting working groups together,  
23 to have the engineering and everybody else work together in  
24 groups, to come up with a consensus on what modifications  
25 need to be made as we move forward, to hopefully improve the

1 penetration levels on our systems. Thank you for your time.

2 MS. KERR: Thank you. Next we have Michael  
3 Sheehan from Keyes, Fox and Wiedman, representing IREC.

4 MR. SHEEHAN: Thank you, and I wish to thank the  
5 Commission for this opportunity to -- but first, a little  
6 bit about IREC in case you're not familiar with it. We're a  
7 501(c)(3) organization, so we do no lobbying.

8 But we do interconnections at the state level.  
9 We've been in 30 states in the last three years, and  
10 currently we're involved with California, Hawaii,  
11 Massachusetts, New Jersey, Washington and we're basically --  
12 we do this on a state-by-state basis. So we're very  
13 involved at the state level.

14 I'd like to start off by saying that you've heard  
15 this morning that basically the 15 -- utilities feel very  
16 comfortable with the 15 percent screening. The problem is  
17 not just the 15 percent screen; the problem is what you do  
18 when you're above the 15 percent, and how do you handle that  
19 above 15 percent?

20 What we believe, the results that above 15  
21 percent is that the systems are subjected to more study than  
22 is needed. This can undermine the cost effectiveness,  
23 particularly of small and residential commercial systems.

24 We think a different approach is needed for  
25 interconnections for those systems, and we applaud the

1 approach -- we basically look at the supplemental review  
2 approach, as a way of getting being able to address the  
3 above 15 percent screen.

4 In this approach, the supplemental review has  
5 been, it's part of the SGIP. It's part of Hawaii's 14(h)  
6 and California Rule 21. We think this supplemental review  
7 process is a way of addressing the above 15 percent limit.

8 California and Hawaii have added a lot more  
9 detail to the supplemental review than that's in the  
10 existing FERC SGIP. In addition, we've been talking with  
11 SMUD. SMUD is the Sacramento Utility District, and they're  
12 presently using the 100 percent of minimum load.

13 One of the things that SMUD is doing is it's  
14 doing a calculate and measure approach. What they're doing  
15 is they're calculating what they think this minimum load  
16 should be, and then they're using a measurement device to go  
17 out there and measure kind of what's going on.

18 That calibration is giving them a lot more  
19 confidence that their models are actually performing the way  
20 they want it to do, because as Jose pointed out, the system  
21 is dynamic and it does change, and you need to make sure  
22 that you calibrate and you develop a risk tolerance that you  
23 feel comfortable what you have on your system is what you  
24 expect to have. So we think that's an important, another  
25 step in this process, of how to develop a better tool.

1           IREC endorses the proposal Rule 21, with both,  
2 with the review approach for penetrations about 15 percent  
3 of peak, up to 100 percent of minimum load. Maximum load  
4 currently is relevant to circuit criteria for  
5 interconnection process. Minimum load is currently relevant  
6 for the interconnection process.

7           Utilities currently look at the extent to which  
8 the generation capacity may exceed the minimum load of the  
9 interconnection process. We propose to make the  
10 consideration more transparent. Part of what we believe it  
11 needs to be the existing screen of 15 percent. Above that  
12 is not very transparent.

13           So what we have worked with with PG&E, SCE in  
14 California was to develop screens N, O and P, in particular  
15 to develop a lot more transparency, so that people would see  
16 what's actually going on once you get above that 15 percent.

17           We worked closely with them to develop those  
18 screens. In particular, Screen O goes back to kind of the  
19 Embril Sandia report. Screen O points out within 2.5 miles  
20 on a 600 amp wire, which is big wire and close to a  
21 substation, you can get a lot higher penetrations, and it  
22 gives a lot more detail for people, so that they can see  
23 what's going on in the feeder, so they'll have a better  
24 understanding as they're applying to these systems, and to  
25 get to higher levels of penetrations.

1           We feel one of the other benefits that this has  
2 is that there's a fee associated with the supplemental  
3 review. It's not a free step. The developer has to pay for  
4 this. It gives more information, but it's a more step-wise  
5 process, because right now you go from a Fast Track process  
6 into this study process, and you get lost in the study  
7 process because that could take long, long time typically.

8           So we believe that with the quick review with the  
9 supplemental review, it's a lot more useful for the  
10 developer if they can fall into that, those screens, and  
11 pass those supplemental review screens. We feel it's a lot  
12 better approach doing it. And again in Hawaii and  
13 California, we've added a lot more detail into that and to  
14 those screens.

15           MS. KERR: Okay, thank you. Last we have Rachel  
16 Peterson from the California Public Utility Commission.

17           MS. PETERSON: Thank you, and I'd also like to  
18 thank FERC's staff and Commissioners for having today's  
19 technical conference, and for the opportunity to speak about  
20 some of the reforms currently being proposed in California.

21           My name is Rachel Peterson. I'm the analyst  
22 who's advisory to the open rulemaking at the CPUC on  
23 distribution level interconnection protocols. Those are  
24 primarily contained in the CPUC jurisdictional Rule 21  
25 electric tariff.

1 I'd also like to mention that CPUC's general  
2 counsel, Frank Lind is here as well. I can't see him. Oh  
3 yeah, Frank, and he and I really worked at a staff level to  
4 facilitate the settlement process that you've heard  
5 panelists refer to.

6 So what I'm going to speak from today is really  
7 two pieces of that settlement that are relevant to today's  
8 panel. But if you have, if anyone has additional questions  
9 about the settlement process, Frank and I can certainly  
10 answer those questions.

11 I did submit written materials. There are hard  
12 copies of those at the table at the front of the room. Then  
13 last, one more piece of context. There are a number of  
14 other signatory parties here today. I'm really pleased to  
15 see that IREC, San Diego Gas and Electric, Southern  
16 California Edison are all present in the room, and can speak  
17 very knowledgeably to what we've done in terms of proposed  
18 reforms for Rule 21.

19 California's at the forefront of procuring  
20 renewable energy. Starting in the middle of this past  
21 decade, we began to create procurement programs specifically  
22 designed to bring or encourage exporting generating  
23 facilities to interconnect to the utility distribution  
24 system.

25 Some of the best known are the renewable and



1 combined heat and power feed-in tariffs, and the renewable  
2 auction mechanism, also known as RAM. Those programs  
3 provide a blend of avoided cost and market-based pricing,  
4 under which the generating facility sells the power either  
5 to the host utility or into the wholesale markets.

6           These programs are in a different place on the  
7 distributed generation spectrum, from the California solar  
8 initiative and net energy metering tariffs, which have rules  
9 specifically limiting the customer to designing their system  
10 so as to offset onsite load.

11           The generating facilities that participate in the  
12 feed-in tariffs and RAM are built to export some or all of  
13 their output, and they can range in size from below 500  
14 kilowatts to 20 megawatts. California initiated these  
15 programs with a range of policy goals in mind, including  
16 reducing greenhouse gas emissions, greening the energy  
17 supply and stimulating the market for lower cost renewable  
18 energy.

19           Those policy goals also share a lot in common  
20 with California's interconnection policy, which has its  
21 roots in PURPA, and is intended to emphasize a clear and  
22 predictable path to interconnection for non-utility owned  
23 generation.

24           Now what California has done with the creation of  
25 those procurement programs is to place interconnection of

1 exporting generators on the utility distribution systems, at  
2 a crossroads that is at times rife with conflict.

3           The key interconnection fact about the generating  
4 facilities participating in the feed-in tariffs and RAM is  
5 that location decisions are driven by any number of factors,  
6 some of which we've heard about already, such as remote  
7 locations, where the solar resource in California is strong;  
8 the location of an industrial facility or a dairy; or land  
9 prices low enough to accommodate a PV system of the size  
10 that's needed to make the project economics work.

11           As developers join in these programs file  
12 interconnection requests under Rule 21, two problems that  
13 are relevant to today's panel became apparent. First, an  
14 interconnection tariff that places all exporting generating  
15 facilities into a serial study process is only functional up  
16 to a certain point. There is a point at which the volume of  
17 interconnection requests simply becomes too much for the  
18 utility to handle.

19           This is the case under the presently effective  
20 Rule 21, in which if you are an exporting generating  
21 facility, you're automatically placed into supplemental  
22 review or detailed study.

23           The second problem is that the introduction of  
24 programs like the feed-in tariffs, that emphasize the export  
25 of power onto the distribution system, alongside the

1 locational decisions being made by developers, such as  
2 places where aggregate generating capacity might be already  
3 high, or load levels at present might be low, places  
4 pressure on the exact screen that designates expedited  
5 interconnection as based on that relationship between  
6 aggregate generating capacity and load.

7           So these problems are a piece of the why, which  
8 is why California undertook a settlement process to reform  
9 Rule 21, and they also at the same time present the question  
10 of what, to try to encapsulate in a single question for  
11 today's panel.

12           Can the Rule 21 technical screens be expanded to  
13 identify the conditions under which an exporting generating  
14 facility can have an expedited and predictable path to  
15 interconnection? This is one of the questions that the  
16 settling parties wrestled with, and they ultimately answered  
17 it yes.

18           They introduced two key components to Rule 21  
19 that are relevant to today. The first is a new penetration  
20 threshold, which other panelists have already spoken about,  
21 and the second is new exporting generator size limits for  
22 the Fast Track process.

23           First, as to penetration. The settling parties  
24 retained the 15 percent of peak load threshold in the  
25 initial review track of Rule 21. This is because the 15

1 percent screen has been keyed to expedited interconnection  
2 of over 100,000 generating facilities in California, without  
3 compromising safety or reliability.

4           They added a second penetration threshold to  
5 supplemental review, and I'll go ahead and read the text  
6 from the rule. It asks "Where 12 months of line section  
7 minimum load data is available, can be calculated, can be  
8 estimated from existing data, or determined from a power  
9 flow model, is the aggregate generating facility capacity on  
10 the line section less than 100 percent of minimum load for  
11 all line sections bounded by automatic sectionalizing  
12 devices upstream of the generating facility?" It's in the  
13 written materials.

14           This is a national first, and in California, if  
15 it is ultimately approved by the CPUC, we and the settling  
16 parties anticipate that it will permit expedited  
17 interconnection of generating facilities that would  
18 otherwise have been placed in a detailed study process.

19           The second major change was made by the settling  
20 parties, in order to aid in managing the number of  
21 generators applying to Fast Track in the first place. The  
22 settling parties agreed on certain size limits for exporting  
23 facilities. Those range from 1.5 megawatts to 3 megawatts  
24 in the different utility service territories.

25           I want to mention that the settling parties also

1 proposed a number of transparency and predictability-related  
2 reforms, many of them drawn from the SGIP, which Rule 21 was  
3 lacking, and which they felt were essential alongside the  
4 new screening process to making the tariff actually  
5 functional.

6           The CPUC has not yet acted on the proposed  
7 settlement, and so these modifications are not yet part of  
8 the approved tariff, and in addition, we do anticipate that  
9 a Phase 2 of the rulemaking will open, once the CPUC acts on  
10 this first Phase 1 proposal, with potential further  
11 modifications to the tariff, focusing on cost allocation  
12 policy and technical operating standards.

13           If the CPUC does approve the settlement, the  
14 parties anticipate that the interconnection standards in  
15 California will catch up to today's forms of procurement,  
16 and support both procurement and interconnection policy  
17 goals, which is something that grown out of whack over the  
18 last several years.

19           So in that vein, I hope that the reforms proposed  
20 in California offer a model for a regulatory approach for  
21 federal interconnection standards, if the needs due to  
22 rising application levels and rising penetration levels are  
23 becoming as acute as has been California's experience.  
24 Thank you again for the opportunity to speak.

25           MS. KERR: Thank you, Rachel. Before we begin

1 our discussion, I would just like to ask if you want to  
2 speak, put your table tent up so that I know that you want  
3 to speak, for both staff and panelists.

4 I'll start off with a question that some of you  
5 may have touched on. What are the implications, in terms of  
6 cost in time to a small generator, of going through a full  
7 study process versus the Fast Track process, either because  
8 it's larger than two megawatts or because it fails the Fast  
9 Track screens? Sure, Mr. Singh.

10 MR. SINGH: I'm just going to refer to SEIA's  
11 response to comments on the petition. So you asked a simple  
12 question on its face. Unfortunately, the response is very  
13 complicated. We've heard every system is different, so on  
14 and so forth. Well unfortunately, it seems like every  
15 utility process is different.

16 In the distribution realm, I mean obviously on  
17 transmission there's, I think, greater transparency on the  
18 transmission interconnection process across the country.  
19 What we're seeing, and this is partly due to the fact that  
20 this is a new market, and everybody's dealing with this as a  
21 new thing. So we definitely understand that.

22 But what we see, when you ask about cost, in the  
23 comments that SEIA provided, I'll actually refer to a  
24 SunPower statement, that for one, certain utilities are  
25 using the 15 percent criteria as a hard limit to arbitrarily

1 control interconnection capacity on certain wholesale  
2 projects.

3           Once the amount of proposed solar generation  
4 exceeds 15 percent, all additional projects, be they  
5 wholesale or retail, are getting rejected by certain  
6 utilities. So I don't know what the cost is of that, if the  
7 cost is infinite or in a sense, the utilities are saying the  
8 cost is infinite.

9           Other utilities that have closed off certain  
10 selected circuits to interconnection have been unwilling to  
11 present their criteria, or to set up a transparent process  
12 for reviewing decisions being made to use the 15 percent  
13 screen as an absolute limit.

14           I'll reference, SEIA referencing Sun Edison,  
15 which said that they have four projects with a total  
16 capacity of 6.2 megawatts that failed the 15 percent screen,  
17 but then they had to go through a full two-year study  
18 process for a 6.2 megawatt suite of projects. So the cost  
19 to a developer is either excessive time, or just being told  
20 no in some of these examples.

21           So I wanted to emphasize that. Every utility has  
22 their own process, but we're seeing the 15 percent screen as  
23 presenting frankly unbearable hurdles for getting projects  
24 done, which is one of the reasons why we need to see a  
25 change in the overall screen.

1           Now if there was a clear process for a  
2 supplemental study, that was frankly concomitant with the  
3 real impacts that these projects can trigger. There might  
4 be greater comfort, but the fact is that it's triggering  
5 some of these, some hard to understand processes that take a  
6 lot of time, or we're just being told no. So --

7           MS. KERR: Okay. Mr. Roughan.

8           MR. ROUGHAN: Yeah. So in terms of the Fast  
9 Track versus the study process, there's obviously typically  
10 in most utilities some sort of impact study fee. Those fees  
11 range from a few thousand to fifty plus thousand based on,  
12 you know, how big the project is. Because you go through  
13 the estimate of what it's going to take actually to look at  
14 the particular project.

15           As Virinder mentioned, you know, this is new for  
16 a lot of us, in terms of getting the multiple megawatt  
17 projects. They didn't exist just two years ago, for most of  
18 us, and so we are learning as to how to do them better going  
19 forward. But ultimately, where the utility is has, I would  
20 think in most cases, if not all cases, has reliability  
21 standards they're penalized by their state regulators on.

22           It's very important that the utilities do take a  
23 conservative look at what they do need to do. As the  
24 utilities become more comfortable with the screens and  
25 understand more that they aren't impacting the reliability



1 and other issues, then they will learn from that and are  
2 learning from that going forward.

3 I think the real issue here is just simply the  
4 massive volume of solar projects, you know, prompted by the  
5 subsidies and also prompted frankly by the base cost of the  
6 systems and panel costs have dropped dramatically in two or  
7 three years. And also what we're seeing is a lot of  
8 developers are new to this market as well. So they're just  
9 learning the processes as well.

10 In terms of a three, four, five megawatt project  
11 that, you know, will cost 10 to 20 to 30 million dollars to  
12 install, you know, a 20 or 30 thousand dollar study that  
13 takes somewhere, depending on the utility and the amount of  
14 volume they have, four to six months to complete, is a small  
15 price to pay on the larger system and the reliability  
16 required by the state regulators, by our customers.

17 I mean we just went through a very serious  
18 scenario down here just a few weeks ago, and people get  
19 very, very upset about reliability. It's the utility who  
20 pays for poor reliability.

21 So the need for the studies is there. Over time,  
22 I can imagine as folks get more comfortable with the screens  
23 and see that they are working, they could pursue those. But  
24 at least for our experience, we clearly detail what we're  
25 doing. We try to give as best a time estimate as we can.

1           Unfortunately, with the volume of projects, it  
2 does affect that. You know, what folks also need to  
3 recognize there's a dearth of experience, utility and  
4 outside consultants and contractors who understand how to  
5 deal with multiple megawatt projects on local 13 kV  
6 distribution.

7           We're slowly building up that talent pool again,  
8 but it just frankly didn't exist up until a few years ago.  
9 So there was a period of time as the industry has to react,  
10 to get the talent in place, to be able to do these in a  
11 quicker fashion.

12           You know, we talked about the seasoned folks who  
13 do utility reviews. None of those folks ever dealt with a  
14 multiple megawatt intermittent project on local  
15 distribution. They've dealt with multiple megawatt combined  
16 heat power projects; they dealt with transmission  
17 interconnections.

18           But the reality is this is a new animal that  
19 we're facing. It's a significant challenge that we're  
20 taking on head on, and are very interested to get these  
21 done.

22           We want these done as quickly as possible as  
23 well, to free our people up for other work. There's lots of  
24 other work the utilities still do every day, beyond  
25 interconnection DG, but are interested in streamlining the

1 process over time.

2 MS. KERR: Okay, thank you. Mr. Carranza.

3 MR. CARRANZA: Thank you for your comments, Tim.  
4 I really agree with what you were saying. But I want to add  
5 a couple of things here. I think there's a dual  
6 responsibility not only on the part of the utilities, but  
7 also of developers. In California, we've taken the step to  
8 put maps of our system on a website, where developers can go  
9 and look at the capacity of particular circuits, available  
10 capacity for connecting distributed generation on our  
11 circuits.

12 Many times developers will submit projects that  
13 exceed the capacity of a circuit where they want to  
14 interconnect. Many times, they're interconnecting out in  
15 our rural areas, where the capacity of our circuits is  
16 either limited, or the system is weak by design, because  
17 there hasn't been very much load out there.

18 So my point is we need to work together. We  
19 can't make capacity available that's not available. You  
20 need to work with us in order to be able to get your studies  
21 done quicker too.

22 MS. KERR: Okay. Mr. Steffel.

23 MR. STEFFEL: A quick follow-up. When you say  
24 you post the capacity that's available, is there any simple  
25 insight into what that capacity number is based on? Is it

1 based on the 15 percent screen, for instance?

2 MR. CARRANZA: We put two numbers together. We  
3 basically post the maximum rating of a particular feeder,  
4 and we also post the minimum capacity which is the 15  
5 percent of load, peak load on that feeder.

6 MS. KERR: Another follow-up for Ms. Peterson. I  
7 understand through Rule 21 there will be an additional  
8 report that will be available to developers. Will that have  
9 more information than the maps currently have?

10 MS. PETERSON: Yes. You're referring to  
11 something called the pre-application report. So it's a new  
12 report that the settling parties proposed. It is intended  
13 to work similar to what Mr. Carranza was just referring to.  
14 You can pay \$300 and get a first look from the utility about  
15 your proposed point of interconnection.

16 It is limited to data that already exists, say  
17 technical data about the distribution system where you're  
18 looking to locate, as well as existing peak load levels.  
19 Any data that they do not have to calculate or measure or  
20 conduct some form of analysis for. But it would provide  
21 more information than the interconnection capacity maps,  
22 yes.

23 MS. KERR: And it sounds like it's fairly  
24 localized for a specific area?

25 MS. PETERSON: It's driven by -- your report is

1 what you request for your point of interconnection. If you  
2 look at the maps, you begin to see broader areas,  
3 surrounding substations, particular electrical areas where  
4 the three investor-owned utilities in California have  
5 identified capacity levels.

6 MS. KERR: Okay. Mr. Steffel.

7 MR. STEFFEL: Although we can't comment for other  
8 utilities, our utility actually does a static load flow  
9 screen, to determine whether something would need to go on  
10 for study. So sometimes we can approve connections of  
11 systems that would fail the FERC screens, based on our  
12 internal study.

13 Right now, we use a third party vendor to do the  
14 studies. It's usually between 20 and 30 thousand. Depends  
15 how complex it is. Takes generally up to eight weeks.  
16 Sometimes it is a little more, sometimes a little less.

17 I think one of the challenges, just like Tim had  
18 mentioned, is we found that third party vendors even had to  
19 be coached on making sure they got things right, and so the  
20 talent and the skills are really being developed for doing  
21 the studies correctly.

22 If you get the study wrong, you're going to have  
23 a problem on your hands, possibly for a long period of time.  
24 And, you know, it only takes one system to go in to cause  
25 problems for a long period of time for a lot of customers.

1 So that is a significant factor.

2 But we do, anything we can do internally we do,  
3 and we don't send anything out. We do that for free for all  
4 the developers. That is within generally just a few days,  
5 within that 15-day period. So very few of them percent-wise  
6 go out for the detailed study.

7 MS. KERR: So some folks have already addressed  
8 this, but just to make sure we have a clear picture of it.  
9 We're interested in whether there are regions or locations  
10 where it's difficult for small generators to take advantage  
11 of the Fast Track process due to the 15 percent screen.  
12 We've mentioned, some of you have mentioned states, but  
13 we're also interested in different parts of utility systems.  
14 If anyone can address that.

15 MR. ROUGHAN: As I mentioned, you know, many,  
16 most, I should say, of the projects we're currently seeing  
17 developed in Mass and Rhode Island, are on the fringes of  
18 our electric distribution system, because that's where the  
19 land is available, that's where it's, you know, economically  
20 feasible for the developer to pursue the projects.

21 And you know, when you're on the tail end of the  
22 system, A, there's not a lot of load that's required, that  
23 was required to be served. So now you have to upgrade the  
24 whole system. You know, a lot of places you've got single  
25 phase or three phase extensions that have to be built.

1 You've got different substation modifications or recloser  
2 modifications on those circuits, systems that simply don't  
3 play well with a simple screen.

4           You really do need to do the analysis as to how  
5 that's going to interact, because in many of those  
6 locations, on a beautiful late May afternoon with max solar  
7 output and minimum load in the area, you've going to have  
8 export up to the transmission system through the local  
9 substation.

10           We're seeing more and more of that as time goes  
11 on, and again, it can be dealt with. We study them. We  
12 interconnect these projects. They go online, but there is  
13 that needed piece that has to be done, of the study and  
14 typically extensive construction. But then we can get these  
15 projects online.

16           There's really no reason a project can't be  
17 interconnected. It's just simply sometimes takes time and  
18 money, and ultimately, things like having maps or pre-  
19 application reports that lots of us do will guide that  
20 developer. One of the really curious things we've seen  
21 since the state subsidies went into effect in New England is  
22 that up until a couple of years, virtually anyone who was  
23 going to interconnect to the utility called us prior to  
24 sending in the application, and wanted to know what the  
25 issue was, an initial kind of discussion.

1           Since the changes in the subsidies, that vary in  
2 nature, these projects are just coming in. For a while,  
3 they were coming in a clip of five to 20 megawatts a week to  
4 our interconnection folks in Massachusetts. Well, you  
5 didn't even know that they were -- they hadn't called us.  
6 They hadn't asked for anything to look at first. They were  
7 just coming in the door.

8           Then when we did review them, we said "oh lookit,  
9 we've got some issues here and what-not." We have  
10 developers fighting for the same parts of land in certain  
11 cities and towns. That's always a challenge, who owns the  
12 property, who's got the rights to do it.

13           So there's a lot to this, and I think as both the  
14 developer and the utility communities mature as to how to  
15 deal with these, I think we'll be over this issue that  
16 temporarily -- that I believe is simply a temporary issue  
17 that we'll be able to work our way through.

18           MS. KERR: Mr. Lennox.

19           MR. LENOX: Yeah. I wanted to comment that it's  
20 important to just keep in mind that what we're talking about  
21 here is that the 15 percent screen is often being used as a  
22 ceiling, as opposed to being used as a floor, and that  
23 significant reform in the Rule 21 settlement is a use of  
24 that screen as a Fast Track floor in essence, and then  
25 defining a set of screens that give a lot more -- give a lot



1 more structure to what happens to a project that does not  
2 pass that 15 percent of peak load screen, and provides a  
3 method of getting projects online that's defined, as opposed  
4 to status quo, which is undefined.

5 That's really what we're talking about here. So  
6 when we talk about what the cost is, the cost is going from  
7 a defined process to an undefined, open-ended, in terms of  
8 cost and time frame, process. That's the pain.

9 MS. KERR: Okay, thank you. Mr. Carranza.

10 MR. CARRANZA: I think we've got to be careful  
11 with the 15 percent screen and making it the floor, because  
12 there are many circuits that potentially can't even accept  
13 15 percent penetration, and making it the floor may impact  
14 reliability in the operation of a particular situation.

15 MS. KERR: Ms. Peterson.

16 MS. PETERSON: Yeah. So you asked whether there  
17 are regions or locations where it's difficult for developers  
18 to take advantage of the 15 percent screen, and I think both  
19 of the prior folks who just spoke are both right. The 15  
20 percent screen is one of a number of questions that are  
21 asked during the Fast Track process.

22 A number of others deal with other technical  
23 issues, such as short circuit current contribution, short  
24 circuit interrupting capability, the line configuration.

25 So whether the 15 percent screen alone is barring

1 an applicant from interconnecting at a particular site may  
2 not be always the complete answer. There might be, as the  
3 utility works through the Fast Track questions, other  
4 technical issues that prevent it from coming online.

5 So although this panel is focused on the 15  
6 percent screen and the new potential backup to it, there are  
7 technical issues at the same time. Right alongside that is  
8 the question of writing out, is the matter of writing out  
9 specifically what those questions are.

10 I'm using our Rule 21 new proposed framework as a  
11 cheat sheet here. But the point is for transparency and  
12 predictability, as Mr. Lenox just said, the point is to  
13 write the questions down, so that developers know exactly  
14 what's being asked and what the technical issues are that  
15 could send their project from initial review to supplemental  
16 review, and then potentially from supplemental review into  
17 detailed study.

18 MS. KERR: Mr. Carranza.

19 MR. CARRANZA: Yeah. I just want to take  
20 Rachel's point and clarify or add that in addition to the  
21 penetration screen that's put in place, we also have got to  
22 be considerate of the reliability and power quality screens  
23 that look at the 100 percent penetration issue on a line  
24 section.

25 So we've got to be considerate of that when we're

1 considering, you know, exceeding the 15 percent limit or the  
2 two megawatt limit.

3 MS. KERR: So just to follow up, you had said  
4 earlier that there are some locations that can't even go up  
5 to 15 percent.

6 MR. CARRANZA: Uh-huh.

7 MS. KERR: Are those, are there technical issues  
8 that you're referring to?

9 (Laughter.)

10 MR. CARRANZA: Location of the interconnection is  
11 very critical. If you are interconnecting close to a  
12 substation, where we have plenty of capacity, many times  
13 it's not an issue. If you are connecting your project 15  
14 miles out, away from the substation, where we have small  
15 wire, the size becomes really critical of your  
16 interconnection project.

17 If it's 100 kW, we may be able to accept it. If  
18 it's one megawatt, I can tell you it's going to be  
19 difficult.

20 MS. KERR: Okay, thank you. Mr. Triplett.

21 MR. TRIPLETT: Thank you. I'd like to thank Ms.  
22 Peterson for her comments, because we're talking about the  
23 one screen here, the 15 percent penetration screen.

24 But in reality, we really ought to be looking at  
25 all the screens, because it's not just the 15 percent screen

1 that triggers these studies. I'll speak from a little  
2 different perspective representing the Rural Electric  
3 Cooperatives. All of our systems are rural.

4 Very long lines, smaller wire, higher impedance  
5 systems, by design to just service the load that's required.  
6 So the 15 percent screen for a rural electric cooperative is  
7 not the only screen that gets triggered very regularly.

8 So there are, as has been mentioned by several  
9 other utilities here, a number of technical issues that come  
10 about with these smaller systems, that are very rural long  
11 lines that have to be addressed. So we really need to be  
12 thinking about the whole process, not just one screen.

13 MS. KERR: Mr. Coddington.

14 MR. CODDINGTON: Thank you. I just wanted to  
15 address a number of the comments that have been made over  
16 the last few minutes regarding some of the examples of  
17 circuits where even penetration levels lower than 15 percent  
18 present trouble. I agree, that that's certainly a  
19 possibility.

20 I think that actually highlights one of the  
21 reasons why using actual, minimum daytime load data is more  
22 beneficial than estimating it based on 15 percent of peak  
23 data. I mean I think that actually spells out a really good  
24 reason if the data is available, if that information can be  
25 measured or estimated, but that is a more useful number.

1           And certainly there are issues with location  
2 which create other constraints. Some of the more rural  
3 circuits are certainly good examples of where trouble may  
4 lie. But again, if you use 15 percent of the minimum  
5 daytime load of a line section, some of these problems, I  
6 would hope, would be mitigated before they come about.

7           Because the utilities are right. They're the  
8 ones responsible when troubles come down the road, and we do  
9 need to maintain a safe, reliable and cost-effective  
10 electric system, and that's clearly the lifeblood of our  
11 economy. So we want to maintain that.

12           Again, I'd just reiterate that using actual  
13 minimum daytime load data seems like a better way to sharpen  
14 our pencil, and rather than estimating this, because  
15 effectively 15 percent is just estimating a portion of what  
16 minimum daytime load is. Thank you.

17           MS. KERR: Arnie?

18           MR. QUINN: Just to follow up on that. So I  
19 think we heard that, from Mr. Carranza, that potentially the  
20 15 percent screen doesn't work for all situations, and  
21 you've, Mr. Coddington, indicated that potentially that's  
22 because of the screen being based on something other than  
23 actual minimum load data.

24           Is that, do people agree that that's the primary  
25 issue, or are there other parts of the Fast Track process,

1 other parts of the screen process that are also not kind of  
2 working well, that would lead to 15 percent being the wrong  
3 number for some feeders?

4           Maybe I'll put it a different way. If something  
5 gets through the 15 percent screen, why isn't it failing one  
6 of the other Fast Track screens, to identify that that area  
7 or that location isn't a good Fast Track location?

8           MR. CODDINGTON: If I could make one comment, and  
9 I think that's a great question. What I think we've heard  
10 are several anecdotal cases of where the 15 percent screen  
11 failed, and as one example, I think Mr. Steffel mentioned  
12 that they had, they used the 15 percent, and they actually  
13 had reverse power flow anyway, and that they had high  
14 voltage, which resulted in customer equipment being damaged,  
15 which is certainly a concern for all utilities.

16           I think again in these anecdotal examples that  
17 were given, had the utility looked at that minimum daytime  
18 load, at least in these examples, that may have actually  
19 failed that screen, and gone on for supplemental review, and  
20 that system may not have been allowed, or they may have been  
21 mitigating measures, like reverse, you know, bidirectional  
22 voltage regulation, which is available, might have been  
23 deployed.

24           But in the case of just using this 15 percent  
25 screen, at least in the examples we've heard, the utility

1 had some problems. So I guess I would just submit that  
2 there are examples where the 15 percent screen doesn't  
3 really do the job that it needs to, but in most cases, it's  
4 probably catching systems that need to go on for  
5 supplemental review.

6 MS. KERR: Okay. Mr. Carranza and then Mr.  
7 Sheehan.

8 MR. CARRANZA: Just let me add, again, that the  
9 100 percent minimum load of line section is not available  
10 all the time. So we fall back to the 15 percent rule. So  
11 that may have been the situation here that we're discussing.

12 In addition, there are other ways to get into the  
13 supplemental review. NEM also can go down in that  
14 direction, which came past all the rules eventually, and get  
15 into supplemental. But let me add one more thing.

16 As I mentioned in my opening statements, we may  
17 have load today in a particular section. But over time,  
18 load may change. A particular customer may shut down their  
19 business and load disappears. The 15 percent may allow  
20 generation to be attached at the time that it was studied.  
21 But when that load disappears, now you get backflow and  
22 potential issues. So that's something you've got to really  
23 be aware of.

24 MR. SHEEHAN: Just a point of reference. I did a  
25 report for solar ABC's, reviewing the FERC SGIP screens with

1 the IEEE members, 1547.6 and .8. We reviewed all the  
2 screens for which ones were problematic and which ones were  
3 of concern.

4 And traditionally, the 15 percent is considered  
5 to be the one that's most, that trips up the most. The  
6 other one is a line configuration one. There's a lot of  
7 issues related to subtransmission, which we have not really  
8 talked about this panel.

9 But I think that's a discussion, ripe for this  
10 discussion, especially the way Southern California runs its  
11 system and the subtransmission, the way it's networked  
12 versus the way it could be a radial subtransmission.

13 So there's other issues that are on the table,  
14 that sort of need to be looked at, that are beyond this 15  
15 percent screen. So if you -- we think it's open for a  
16 bigger discussion. But this discussion this morning was  
17 just on the 15 percent screen, and I want to make sure that  
18 everybody understands there are a lot of other screens or  
19 need to update that.

20 The original 2005 order suggested every two years  
21 that this be revisited, and this has not been revisited  
22 since the 2005 order. So I think it's important to  
23 recognize other screens do trip up, but the one that's the  
24 most sort of common is the 15 percent.

25 MS. KERR: Tom.



1           MR. DAUTEL: In cases where load changes, is  
2 there someone who can help me understand what happens after  
3 that happens? Is additional equipment put in? Is the  
4 interconnection impacted or what's the scenario?

5           MS. KERR: Mr. Carranza.

6           MR. CARRANZA: Potentially, the utilities have to  
7 fix the problem. We may need to reconductor, we may need to  
8 employ several different strategies to fix the problem.

9           MS. KERR: And I assume the problem would be the  
10 same, whether you've used a 15 percent screen or 100 percent  
11 minimum screen?

12          MR. CARRANZA: That's right.

13          MS. KERR: Okay.

14          MR. DAUTEL: And real quick, do you usually know  
15 about it ahead of time, because there's a load that's  
16 dropped of that you're aware of, or is it more kind of you  
17 notice the effects of it?

18          MR. CARRANZA: It depends, it depends. Sometimes  
19 we're aware of it and sometimes we become aware of it,  
20 because our customers begin complaining of potential issues,  
21 or issues that they're seeing with reliability.

22          MS. KERR: Okay. Mr. Coddington, I think you've  
23 had yours up the longest.

24          MR. CODDINGTON: Thank you. I've got just a  
25 couple of comments, and I think one addressed yours, Tom,

1 and my own experience of 20 years in the utility business,  
2 in that load data is historical. So you look at load data  
3 and there is no guarantee that that is what a feeder or a  
4 line section is going to do.

5 As a matter of fact, you're pretty much  
6 guaranteed it's going to be different than that historical  
7 profile. I think the utilities use it. It's the best tool  
8 you can to estimate what the future may be.

9 But it's an excellent question, and it's a  
10 concern that I share with the utilities here, that if load  
11 goes away and that presents a problem, that is on the  
12 utility's shoulders.

13 But I would say I just wanted to address another  
14 comment. This comes up pretty regularly. But there was a  
15 comment that the load data on a line section for minimum  
16 load is not available, or it's just load data on a line  
17 section, period, is not available.

18 So my question is well then how do you come up  
19 with a 15 percent of that line section? I mean there are  
20 ways to estimate it. There are ways to measure it. I'm  
21 saying there are ways to do it, but the comment came up that  
22 that load data at a line section is not available.

23 Clearly, it must be available, at least to  
24 determine what that peak number is, so that you can take 15  
25 percent of peak. So I would just challenge that assertion,

1 that the data's not available or somehow, there's no way to  
2 estimate that.

3 MS. KERR: Yeah. Along those lines, I had a  
4 follow-up question for Mr. Sheehan. You had mentioned that  
5 SMUD is doing something that sounded different, I guess,  
6 than what other utilities are doing, the measurement of  
7 minimum load.

8 MR. SHEEHAN: I wouldn't say it's different, in a  
9 sense. But I'm saying they've already gone to the 100  
10 percent of minimum load threshold already. So not very many  
11 utilities have gone that direction yet. So they're already  
12 at that level.

13 But one of their practices that they do is to put  
14 out a meter on the line, to measure kind of the affected  
15 area that they think is going to happen, and they download  
16 that data and estimate what they think should have been the  
17 load, based on their calculations.

18 So they do a calibration between the estimated  
19 and as Michael Coddington pointed out, the real load that's  
20 going on on the system. So they're measuring those two to  
21 see how close they are, and get more confidence and more  
22 sense of the lower their risk level and threat to going  
23 backfeeding or having a problem.

24 Again, I think this issue of backfeeding is  
25 really the loss of voltage control is what the utilities are

1 concerned about.

2 MS. KERR: Okay. If the other three folks who  
3 have their name tags up could real quickly address this, and  
4 then we'll move on. Mr. Roughan.

5 MR. ROUGHAN: Uh yeah. I wasn't going to talk to  
6 that.

7 COURT REPORTER: Your microphone.

8 MR. ROUGHAN: Oh, I'm sorry. It was more of the  
9 fact that, you know, once you've agreed to a minimum load,  
10 you've completely lost all your flexibility for  
11 rearrangement of the circuits. You know, even though many  
12 states have goals to reduce load growth to zero through  
13 efficiency programs and everything else, the reality is  
14 everyone likes their gadgets. Load continues to grow.

15 So when you go to put a new substation in,  
16 typically what you're doing is you're offloading different  
17 circuits around, because now you have new source to serve  
18 the load.

19 So once you're stuck with a minimum load number,  
20 you're stuck. You can't rearrange it anymore. You now  
21 don't have the flexibility on your system, both during  
22 planned upgrades, which is a new substation, and during  
23 unplanned storms and reliability considerations.

24 I mean as mentioned by Jeff prior, we strive to  
25 only load our systems to 50 to 60 percent of the circuit

1 rating, so that we can move loads around during outage  
2 conditions, so we get as many people back as possible.

3           So when you now set up that on that circuit, you  
4 need X megawatts of minimum load because you've allowed so  
5 much solar on it, you're stuck with it going forward.

6           That's the concern about the future flexibility,  
7 and frankly the cost of the distribution system, because  
8 once you're stuck, as Jose mentioned, you've got to  
9 reconduct, you've got to do this, you've got to do that.  
10 Because once the system's online, you have very limited  
11 ability to require, and in many cases no ability to require  
12 that end use customer, developer or solar farm owner, to pay  
13 for any changes or upgrades at that point.

14           Because they're online, they've signed an  
15 agreement with you. You've agreed that they can run the way  
16 they are. So going back asking them for additional funds to  
17 do something different is just not -- just doesn't occur.

18           MS. KERR: Would having additional DG,  
19 distributed generation on a line in some ways give you  
20 flexibility?

21           MR. ROUGHAN: Well, there's two problems with --  
22 well, you know, also in many cases, unless it's a multiple  
23 megawatt project, we have records on our GIS of all the  
24 generation and nameplate ratings. But what we don't have  
25 any transparency to is how much of the DG was actually

1 operating during that peak hour that we saw either the peak  
2 load or the minimum load.

3           So we have no -- all's we're seeing at that  
4 breaker or substation or recloser online is the net power  
5 flow through that device. We have no idea, unless we have  
6 larger projects where we have to have control and equipment  
7 to understand what it's doing, because it's so large.

8           We may know that nameplate rating is 1-1/2  
9 megawatts on that circuit, besides the three megawatts of  
10 large projects. But we have no concept, from a transparency  
11 perspective, how much of the 1-1/2 megawatts is actually  
12 still operating.

13           We can see what the big project is doing at our  
14 peak or minimum, but we don't have any transparency into  
15 what those individual units are.

16           I mean as we all move into the advanced meters  
17 and Smart Grid and all the rest, we will get that  
18 transparency. But most of us simply don't have that today  
19 to understand that. So that's the other difficulty of using  
20 simply a peak load or a minimum load value, is that you  
21 don't -- it's a net power number. It's not -- it's the load  
22 on the circuit less any generation that's actually running  
23 at that particular hour.

24           MS. KERR: Thank you. Is to a good time for you  
25 to follow-up? Okay. Mr. Steffel.

1                   MR. STEFFEL: Okay. I'll try to move through  
2 quickly.

3                   COURT REPORTER: Microphone.

4                   MR. STEFFEL: Oh. You asked a question about  
5 where could the 15 percent screen fail. I think we've given  
6 an example, plus mentioned other types of circuits with load  
7 profile anomalies. Now that's the very, you know, that's  
8 rare, but it does occur.

9                   One of the issues is protective zones versus  
10 voltage regulation zones, and at the beginning of the  
11 voltage regulation zone, you're going to have a voltage  
12 regulator. Not all of them are reversible; some of them are  
13 older and we'd have to change if you're going to have  
14 reverse flow.

15                   Number two, even if they are reversible, if  
16 they're not set correctly, they can also operate  
17 incorrectly. So you can have something meet the 15 percent  
18 criteria for a protection zone, but not a voltage regulation  
19 zone.

20                   If you look in the material, you know, we gave  
21 you, there is four voltage regulation zones on the rural  
22 feeder that I mentioned had a 3.3 percent minimum hosting  
23 capacity. So what did we do in that case, where we had that  
24 problem? We had to reconfigure the circuit and the  
25 substation.

1           So just like Tim mention, that does limit our  
2 ability to reconfigure again. We've now reconfigured to  
3 handle that problem.

4           Another impact is on distribution automation, and  
5 this is where we're developing automatic sectionalizing and  
6 restoration schemes across the board.

7           We have some circuits that have three megawatts  
8 of PV, and what happens when you have a fault? PV  
9 disappears. That was three megawatts, and our system  
10 thought that the load was three megawatts less on an  
11 automatic scheme.

12           But then when it picks up the load, there's three  
13 more megawatts, and then five minutes later, there's three  
14 less megawatts. So the voltage regulation and everything  
15 changes. We've actually had to block some schemes. So does  
16 it impact reliability? Yes. I mean that's a clear  
17 indication.

18           On load data, new systems that went in since the  
19 reading that you had of your load measurement, whether it's  
20 minimum or peak or whatever, effect it. The contribution  
21 that the systems, that were on the system, and Tim mentioned  
22 that to the load reading.

23           I mean it could be that you had a cloudy day, the  
24 day of your minimum load or peak load or whatever, or it  
25 might have been a clear day, and then maybe the systems are



1 deteriorating or not online. Then you've got pending  
2 systems that you've got to also account for, even if you do  
3 look at these load measurements that you have.

4           Then there has to be a buffer for inaccuracies.  
5 You've got load imbalance, you've got phase imbalances and  
6 other types of things that are going to trigger things on  
7 the circuit. So you can't just go up to 100 percent minimum  
8 load and think that's a great screen. There has to be a  
9 buffer, or else you're going to still end up with a lot of  
10 problems.

11           MS. KERR: Okay. That's a good segue to our next  
12 question. So we've heard from SEIA and other commenters  
13 that the 15 percent screen's a problem. We've heard from  
14 some of the panelists today that 100 percent minimum load  
15 screen may be a problem.

16           Are there other things we should look at? If  
17 there are problems with both of those, are there  
18 alternatives that we should consider, to keeping people,  
19 generators in the Fast Track process? Oh, Mr. Triplett.

20           MR. TRIPLETT: Well, I think that's a great  
21 question, and that's ultimately the question of the day. I  
22 think that there are things that should be considered, and  
23 as I mentioned earlier, there are working groups that are  
24 considering these things right now, the 1547 working groups.

25           Those working groups are comprised not only of

1 representatives from the utility industry, but also  
2 representatives from the manufacturers of equipment that are  
3 interconnecting with distribution systems, and the  
4 developers and the generation interconnectors themselves.

5 I think that's really the appropriate forum where  
6 these things should be discussed, from a technical nature.  
7 How effective are the existing screens, and what can be done  
8 to make them more effective?

9 At the end of the day, most generation  
10 interconnection requests can be accommodated. It's just a  
11 matter of does a study need to be done? Does there need to  
12 be any mitigation techniques to accommodate that, or can it  
13 just be done, reasonably assured that there will be no  
14 safety and reliability concerns to a Fast Track process.

15 So I think those working groups, in my opinion,  
16 the stakeholders should consider allowing that process to go  
17 through and answer those questions exactly.

18 MS. KERR: Thank you. Ms. Peterson.

19 MS. PETERSON: Having been through eight months  
20 of settlement discussions about the screen and a number of  
21 other issues, I guess I would --

22 I would tout the 100 percent of minimum load  
23 backup screen within supplemental review, with the attendant  
24 means of calculating, measuring, determining, etcetera, as  
25 really one of the best steps forward that can be taken at

1 present, before you get to the much more indepth technical  
2 advances that I believe are coming, and as Mr. Triplett  
3 said, are coming from places like the IEEE 1547 working  
4 group.

5           If an advance is being pursued in terms of  
6 expanding Fast Track, and remaining within a certain zone of  
7 safety and reliability, then I think that these screens,  
8 although they, as everyone notes, they do have their flaws,  
9 are the best present-day step forward. Other long term  
10 approaches are exactly that; they're longer-term.

11           MS. KERR: Thank you. Mr. Sheehan.

12           MR. SHEEHAN: Just to capture that in another  
13 way, we believe that above the 15 percent is really one of  
14 the key issues we want to address, and the supplemental  
15 review, which is already in the FERC 2005 Order, and it's in  
16 Hawaii Rule 14(h) and California Rule 21, that's really the  
17 venue we think is the best, a great approach to sort of get  
18 to the next level, without going through a detailed study  
19 and getting into a lot more.

20           It's again, using utilities basically N, O and P  
21 in Rule 21, the penetration screen, the power and quality,  
22 reliability and voltage fluctuation, the safety and  
23 reliability issues, those issues need to be addressed.

24           Doing it in the supplemental fast process really  
25 addresses, we think, the key issue, that for those projects

1 that you can get through a lot faster, instead of going  
2 through a full study process and getting caught in that full  
3 study process.

4 Because that's the time and in a lot of cases,  
5 that's really where the hang up is. We can get a lot more  
6 of those projects that are closer in, that everybody agrees  
7 can go a lot faster, and doesn't need that full monte study.

8 MS. KERR: Mr. Steffel.

9 MR. STEFFEL: PEPCO Holdings, Inc. is taking  
10 another approach to this, and what we're working on is  
11 acquiring a semi-automated study tool that will operate in a  
12 time series load flow, and can operate quick enough to  
13 respond within the 15 days, so we can actually do this study  
14 in-house.

15 We're moving ahead with it. I mean it promises  
16 to be fast. All the testing we've done indicates that.  
17 Right now, we currently for any system that's over 250 kW,  
18 we do a static load flow anyways. So this would just be an  
19 extension to actually doing a time series that looks  
20 throughout the whole year, and actually pulls in the solar  
21 data.

22 It actually will be a little less conservative to  
23 allow larger systems. It would give back a much more  
24 detailed feedback to us, and actually give us the true  
25 impact on our system. The tool would also continue to look

1 at aggregated type of impacts up and down the T&T system.

2 So it would also incorporate pending, and it  
3 would incorporate things that have gone in. So it  
4 eliminates some of the problems we've mentioned with load  
5 measurements, and trying to adjust them for things that have  
6 come on the system, things that are pending and so on.

7 MR. QUINN: Can I just ask a follow up on the --  
8 it seems that there might be a consensus, that everyone  
9 agrees that some sort of supplemental study should be  
10 allowed.

11 There should be some option for the  
12 interconnection customer to do some sort of supplemental  
13 review if they failed the Fast Track screens, but would  
14 prevent them from having to go through a, you know, full-  
15 blown long, costly study. Is that consensus there? Does  
16 everyone agree with that general principle or statement?

17 MS. KERR: Mr. Singh.

18 MR. SINGH: Yes. I guess --

19 COURTREPORTER: Your mic.

20 MR. SINGH: Sorry. We just don't know what that  
21 supplemental study looks like utility by utility also. So I  
22 don't want to complicate the question, because you asked  
23 what seems like a simple question. It's the Wild West out  
24 there in a sense, and again we're all dealing with the new  
25 market and such.

1           But we do not see consistency across utilities  
2 and how they're treating DG. We do not see consistency in  
3 standards. We do not see consistency in processes. We do  
4 not see consistency in what it actually costs. We do not  
5 see consistency in what we're being asked to do.

6           I understand the leaning towards extreme  
7 conservatism among utility distribution and transmission  
8 engineers. You don't get a bonus, in a sense, by handling  
9 more DG. You just get fired if there's a reliability event.  
10 I understand that. I used to work for a utility.

11           But we have states, New Jersey just passed  
12 legislation that is accelerating its solar mandate. States  
13 want to do solar and there's annual requirements.

14           Study sounds nice, but we're going to wait two  
15 years to come up with revisiting the standard through IEEE,  
16 and then we're going to spend a couple more years with more  
17 study on projects, and states are saying we want solar right  
18 now.

19           There's a real disconnect between the immediacy  
20 of the issue there, based upon what states and their  
21 legislatures and governors have decided what is important,  
22 versus some of the tones of discussion here about let's keep  
23 on studying this.

24           We might be a little more comfortable with some  
25 of that tendency if we understood what the study process

1 was, and all of those other issues that I raised. But  
2 that's not what we're seeing here. So sorry for a little  
3 bit of the opening there also, but you asked a simple  
4 question.

5 We don't know what that study process looks like  
6 utility by utility. So that creates a huge problem.

7 MS. KERR: Mr. Roughan.

8 MR. ROUGHAN: I think we continue to concentrate  
9 on what the utility can and what the utility cannot do, and  
10 I think there is significant responsibility from the solar  
11 community to also help us understand what they can and can't  
12 do. The dilemma we have here is the intermittency of the  
13 projects.

14 On an hour by hour, minute by minute issue with  
15 cloud cover, on a month by month level, just because of the  
16 radiation changes over the course of the year. So we're  
17 being asked to answer a question that doesn't have a simple  
18 answer, and we're being asked to do it through screens and  
19 do it quickly and get these online fast.

20 What I fail to see is the need for a two-way  
21 street here, to have the solar community be able to provide  
22 to the utility some sort of certainty as to what their  
23 project can and cannot do. It's all that the utility needs  
24 to do this because of all these good reasons, but there are  
25 just virtually no quid pro quos from the solar community.

1           For example, if a customer really wants to go  
2 through the Fast Track process, really doesn't want to deal  
3 with detailed review, there's a relatively simple way at  
4 that. There's a relatively simple way if they manage the  
5 input of the solar project to certain levels at certain  
6 times of the year, and we have some control over that, over  
7 the management of the output and the solar array, to make  
8 sure it doesn't impact our system.

9           Then they can live within what they're doing.  
10 There may be certain hours of the year where they have to be  
11 cut back, perhaps in terms of output. But again, really  
12 what's not happening is any work to try to manage the  
13 intermittency of this resource. If there was additional  
14 work there, and I think that's what Jeff really talks to  
15 this, in terms of what the IEEE working group will and can  
16 do.

17           By bringing up ideas in those types of groups,  
18 they can be vetted and fleshed out as to what works and what  
19 doesn't work. But simply controlling the output of the  
20 solar project for certain hours of the year may well make  
21 these things easier to manage on the utility distribution  
22 system.

23           Putting some responsibility, instead of just  
24 simply having -- the utilities have to absorb whatever they  
25 do whenever they do it.



1           MS. KERR: I'm curious as to what you're seeing,  
2 Mr. Lenox, if you have a reaction to that, and then I'm also  
3 curious if there is equipment that would make that  
4 relatively easy to do?

5           MR. LENOX: So my reaction to that is that, you  
6 know, those, I think are options if you're failing screens,  
7 and there's both technical and economic implications to  
8 those measures, those measures that exist. But we don't  
9 want -- and they're evolving over time as technology  
10 advances.

11           But I think we do need to keep in mind we are  
12 talking about making changes in a relatively short term to  
13 accommodate the very fast growth of the industry, versus the  
14 longer term process that is being driven, the 1547 process  
15 at some more venues. But that is, you know, it's really too  
16 far out to address the issue we're trying to address here.

17           We do need to have a process so that we can study  
18 these projects in an appropriately expedited fashion, so we  
19 can get technically viable projects online. That's the  
20 bottom line. We're not talking about putting projects  
21 online that are going to significantly impact the  
22 reliability or safety.

23           That's not what we're trying to do. We're not  
24 trying to degrade the reliability of the utility system. We  
25 have a model here that we are looking at, that accomplishes

1 that. So the question really isn't is there a bunch of  
2 things that the PV industry can do to mitigate this, that or  
3 the other impact.

4 The question is, is there a way for us to decide  
5 that a project is not going to have an impact, in a manner  
6 that is consistent with the reliability, but also consistent  
7 with policy goals and with commercial realities. If we get  
8 outside of that space, then we can start to talk about well,  
9 here we have, here's a project we want to do.

10 It's failed this screen or that screen. What are  
11 the mitigations we can put in place and the solar industry,  
12 I think, in general is very open to having that discussion  
13 and we do have that discussion on a project-by-project  
14 basis.

15 MS. KERR: Thank you. Mr. Sheehan.

16 MR. SHEEHAN: I would like to avoid the  
17 discussion, but since it's been brought up, I think energy  
18 storage is off topic, as far as I'm concerned, for this  
19 discussion here. It clearly is not something that we've  
20 been asked to talk about, because it's beyond --

21 We've really been focused on the time and the  
22 amount of money it costs to do interconnections of greater  
23 than 15 percent. If we get into the issue of storage,  
24 that's well beyond kind of where we want to be at this  
25 today. I just want to take that off the table.

1 MS. KERR: Mr. Roughan.

2 MR. ROUGHAN: Yeah, and I guess I'm not -- (a),  
3 yes equipment is available to -- I mean they've got this  
4 inverter control software that can easily be throttled back  
5 up and down as much, whatever you want to do. That's very  
6 simple to do.

7 So the reality that that can occur, I'm just  
8 suggesting that that be part of the discussion as well,  
9 instead of simply what is the utility's requirements and  
10 what can they do and what can they not do. Where the bulk  
11 of these projects are interconnected is under the  
12 jurisdiction of the state regulatory bodies, who give the  
13 approval for the distribution utilities for their recovery  
14 and for their capital plans every year.

15 We're talking about significantly potentially  
16 impacting those agreements that are either in place or have  
17 been talked about. I mean the planning process for a  
18 utility, we have projects that are planned out three, five,  
19 ten years out that are in-process and being approved now and  
20 pulling together resources for.

21 You know, juggling that and changing that around  
22 because of solar projects could make that much more  
23 inefficient. But it's just another idea here that is, I  
24 think, worthy of a discussion, because ultimately to take  
25 advantage of the fast solar growth, that can and will

1 potentially put reliability at risk, simply by a rule that  
2 says if it passes this, you have to do X, Y and Z, and you  
3 don't have authority to do anything more, I think does risk  
4 reliability in the short term.

5 By managing the process and studying it the way  
6 it needs to be done, we can come up with a much better  
7 process for utilities and for solar developers and for  
8 society as a whole.

9 MS. KERR: Mr. Coddington.

10 MR. CODDINGTON: First, I just want to say that I  
11 think Mr. Roughan brings up an excellent question, although  
12 I think it's really off topic for this question surrounding  
13 screens and 50 percent. But if since the question was  
14 raised, if I could give my own perspective on a couple of  
15 these topics.

16 I think the solar industry and especially the  
17 inverter industry, and along with standards groups and  
18 national labs that have been mentioned today, are working on  
19 many solutions to make these systems more grid-friendly, to  
20 be better utility partners, to behave themselves in a more  
21 traditional way, to act more like utility generation that  
22 has been online for, you know, over 100 years.

23 So I think that we're moving that way, and some  
24 of the standards efforts, especially the IEEE 1547 groups,  
25 are working to find ways to deploy some of these advanced

1 functions that I think really will make our future look much  
2 better in this whole discussion area.

3 I did want to just touch on IEEE 1547. It's been  
4 mentioned a few times, and I'm not really sure that that  
5 group is going to address screens to anyone's satisfaction  
6 for this discussion this morning. But I do believe that the  
7 1547.8 working group will address ways to deploy some of  
8 these advanced functions, to again address Mr. Roughan's  
9 reasonable concerns. Thank you.

10 MS. KERR: Thank?

11 MR. LUONG: I guess I had a question regarding  
12 the IEEE working group. How far does it come out with a  
13 resolution?

14 MR. CODDINGTON: So if I could, since I was  
15 secretary of IEEE 1547.6 for Secondary Networks, a little  
16 off from some of the other working groups. We actually have  
17 a chairman of one of the current working groups in the room  
18 today, Mr. Saint with NRECA, working on 1547.7, which is the  
19 supplemental study group.

20 There's another active standard being developed,  
21 and it's 1547.8, which I think is what most of the  
22 references have been aimed at today. That's really an  
23 advanced, you know, really a focus on higher penetration,  
24 some of the new advanced functions that are being, that are  
25 available today.

1           But how do we deploy these? How do we act put  
2 them into use? To answer your question, I think that over  
3 roughly the next year, that would just be -- no one really  
4 knows when a standard is going to be completed and  
5 available. But it looks like, you know, within the next  
6 year, that 1574.8 should go to ballot, and then hopefully  
7 within a few months after that it may be voted in as a  
8 standard.

9           The standard for interconnection, adopted by FERC  
10 and many states, 1547, that's the interconnection standard,  
11 was approved just a few years ago, 2008. But you know,  
12 there is discussion now about revisiting the interconnection  
13 standard, and looking at ways to perhaps integrate low  
14 voltage ride-through, low frequency ride-through.

15           Those functions are being discussed, as well as  
16 volt bar control, some of the things that again may make  
17 this technology more utility-friendly, and to be able to  
18 mitigate perhaps some of these variability concerns that the  
19 utilities have raised today. I hope I answered your  
20 question.

21           MS. KERR: Okay. We're actually sort of running  
22 out of time. I'm going to move along a bit. So assuming  
23 there should be additional review screens in the Fast Track  
24 process, should these additional review screens be different  
25 based on the operating characteristics of the different

1 types of generators, and what types of generators should  
2 have different screens? Mr. Coddington.

3 MR. CODDINGTON: If I could just make a short  
4 statement. Yes, I do believe that any kind of technology  
5 with power electronic inverters on the front end should be  
6 treated differently. The engineers in the room know that  
7 traditional generator synchronous machines have greatly  
8 different characteristics.

9 They're of, I would say, greater concern for  
10 interconnecting onto the distribution system, whereas  
11 inverter-based systems generally behave themselves in a much  
12 more predictable way, and are inherently safer in nature.

13 MS. KERR: Ms. Peterson.

14 MS. PETERSON: Yeah. I'll just answer by  
15 identifying some of the policy guiding Rule 21 in  
16 California. The California Public Utilities Commission has  
17 long said that the interconnection tariff, Rule 21, shall be  
18 technology-neutral, and that was the guiding principle that  
19 the settling parties stayed within in developing the reforms  
20 to Rule 21.

21 So as a result, the screens in the Fast Track  
22 process identify the potential different technical issues  
23 that different types of generators might trigger. So a  
24 synchronous generator might trigger a different screen from  
25 an inverter-based generator.

1           The one place where the settling parties proposed  
2 a slight difference is in the measurement of minimum load  
3 for solar PV in that one screen for 100 percent of minimum  
4 load. The solar PV measurement of minimum load is based on  
5 daytime hours, and for all other forms of generating  
6 technology, it's absolute minimum load.

7           MS. KERR: Mr. Triplett.

8           MR. TRIPLETT: You bring up a good point.  
9 Certainly, different types of generation have different  
10 impacts on the system. But I think ultimately, it's not the  
11 type of generation but the impact seen. So I think the  
12 technical screens should still be broad in nature, looking  
13 at things like fault current and impacts on voltage  
14 regulation, rather than specifically saying inverter-based,  
15 induction, synchronous, so on and so forth machines would  
16 have these separate rules.

17           So I think the rules need to be global, because  
18 ultimately it's the impact on the system. We don't care if  
19 it's an induction machine or an inverter-based machine or a  
20 synchronous machine causing voltage concerns on the system.  
21 We just care that we have voltage concerns on the system.

22           So the screens should still be based upon the  
23 root concern, not the generation type.

24           MS. KERR: So if again, assume that a minimum  
25 load screen would be effective as an additional review



1 screen, and by effective, I guess I mean that it would  
2 decrease interconnection costs for distributed generation  
3 without compromising safety and reliability.

4           How would such a load -- how would such a screen  
5 be structured? For example, is 100 percent the appropriate  
6 minimum? In the California process, were other percentages  
7 discussed? Are there other issues based around that  
8 percentage that we should know about?

9           MS. BRYANT: Specifically earlier, Mr. Steffel  
10 said --

11           COURT REPORTER: Microphone, please.

12           MS. BRYANT: It's on. Is it on? Okay. Mr.  
13 Steffel said earlier that you thought the 100 percent  
14 minimum daytime screen was perhaps not good enough, because  
15 there wasn't a built-in buffer. So if that number was  
16 reached, then what would happen at that point, and what  
17 reliability implications would we incur, I guess, if we let  
18 the 100 percent go through.

19           So I guess in addition to the rest of the  
20 panelists, specifically for you, is there a number that's  
21 around 100 percent that you would be comfortable with, or  
22 what sort of buffer numerically or otherwise do you think is  
23 necessary?

24           MR. STEFFEL: Well, the buffer would need to take  
25 into account the inaccuracies of your estimation. It would

1 need to take into account the possibilities of load change  
2 and load profile change. We talked about, you know, the  
3 possibility of industries not working on the weekend, where  
4 they had been running seven days a week.

5           It needs to take into account on balance on  
6 system, which can change. So one of your phases, if it's  
7 going to get the reverse flow on it, may be the minimum load  
8 of that. You've got to make sure you've got the minimum  
9 load phase, not just your average.

10           You've got the operation of the existing PVs in  
11 that section that you've got to account for, and the  
12 variation from year to year, and then you've got -- you've  
13 got to take into account what the pending ones' impact will  
14 be.

15           So the thing, and many utilities aren't  
16 collecting that data right now. So if we do have it  
17 available, we put it, move it down from a whole feeder down  
18 to a section. You've got to take in all those accounts, and  
19 all I'm saying is you need a buffer.

20           You can't just go right up to 100 percent minimum  
21 load, and allow something to go through where you haven't  
22 checked a voltage regulation devices to see if they're going  
23 to have problems in reverse flow and other types of things.  
24 So that's a problem.

25           Then when you have a single feeder on a

1 distribution transformer at a substation, protection folks  
2 would want transfer trip on a system that could actually  
3 backfeed into the transmission system.

4           So there's a number of things that have to be  
5 looked at, and if you go right up to 100 percent of your  
6 minimum load, daytime load, you're just not allowing  
7 yourself a buffer.

8           One of the other things I was going to mention  
9 before is we have almost no control, monitoring or control,  
10 over most of the systems out there. If they're on, we have  
11 to send someone out there if there's a problem to turn them  
12 off. Yes, the very largest ones we do have monitoring and  
13 remote possibility of disconnect.

14           But you know, the vast majority of them are going  
15 to operate until someone actually goes out there. A lot of  
16 times, the places are closed. Nobody's there. They're  
17 operating totally on their own.

18           So you know, if we push everything right to its  
19 limit without any control, and just to give you an example,  
20 the IEEE 1547 recommended that there be monitoring control  
21 at 250 kW and above.

22           Well, at the state levels, we've been restricted.  
23 We can't put anything over, anything that's two megawatts  
24 and below can't have monitoring controls. So you've got a  
25 tremendous amount of the solar out there has no control from

1 any central point. So you have to consider all that when you  
2 make these screens and go right up to certain limits.

3 MS. KERR: Mr. Coddington.

4 MR. CODDINGTON: Thank you. Just to address that  
5 last comment and make a couple of other statements, IEEE  
6 1547 actually requires provisions for monitoring of systems  
7 over 250 kW, and it's certainly not mandatory. But  
8 provisions need to be in there, and I agree with Mr.  
9 Steffel, that having that kind of monitoring and control  
10 could be very useful for the utility.

11 But there's another assumption that seems to be  
12 inherent, that exceeding 100 percent of that minimum load is  
13 going to be problematic. Indeed, in some cases it may.  
14 There may be high voltage. There may be equipment damage.  
15 But there are certainly systems out there that are designed  
16 to work well over 100 percent of the minimum load on a  
17 distribution feeder.

18 That's the exception, but I just wanted to  
19 clarify that there's no hard and fast ceiling, that 100  
20 percent of minimum daytime load would cause a system to  
21 fail. I'm not recommending it. I'm just saying there are  
22 systems out there and it should be noted.

23 But the question at hand has come up twice. The  
24 question was is there a ratio that would be acceptable, and  
25 I think the two ratios on the table now are what do we have

1 today, and that's 15 percent, which is equivalently 50  
2 percent of minimum load. By the derivation of this whole  
3 process, we're defining 30 percent of peak load as being the  
4 defined minimum, and then you take half of that, 50 percent,  
5 and that's what the utilities are acceptable with today.

6 And then you've got, on the other side, some  
7 utilities in California looking at 100 percent of minimum  
8 daytime load. So I just would assert, for discussion, that  
9 we're somewhere in that range of 50 percent to 100 percent  
10 of minimum daytime load, and that would be, I guess, the  
11 area of discussion to perhaps settle that, or at least to  
12 talk about.

13 MS. KERR: Mr. Steffel.

14 MR. STEFFEL: Yeah. We have no disagreement that  
15 systems can be made to take backfeed, and we have backfeed.  
16 We have backfeed on feeders, we have backfeed on  
17 transformers. But the problem is they need to go through a  
18 detailed study, so that you do the appropriate modifications  
19 to the system.

20 So that's the only thing I'm saying. On a screen  
21 that's going to allow something to go through, you've got to  
22 be really cautious. The screen needs to be conservative. I  
23 mean we can accommodate those things, but you need to do the  
24 detailed study, find out what has to be done to upgrade the  
25 system to handle that.

1 MS. KERR: Thank you. Mr. Carranza.

2 MR. CARRANZA: You've got to be careful when  
3 you're talking about exceeding 100 percent minimum load.  
4 For example, let's say you exceed 100 percent minimum load  
5 in our system on one of our circuits.

6 The topology of our system is such that we have  
7 load tap changers that control the voltage that feed four,  
8 up to eight circuits at a time. You start pushing too much  
9 current back through that bus and out the LTC and into the  
10 transmission, what the LTC or load tap changer does is it  
11 lowers the voltage, thinking that there's lower load on the  
12 system, therefore keeping the voltage within limits.

13 When we start pushing too much current back  
14 through the LTC, back to the transmission, the reliability  
15 issue we experience is low voltage on the circuits that  
16 don't have PV or minimal PV on them. So as you mentioned,  
17 yes it could be, but we've got to be very careful when we're  
18 doing those type of studies.

19 MS. KERR: Mr. Sheehan.

20 MR. SHEEHAN: Thank you. I just want to go  
21 through a typical approach, and I use this "typical,"  
22 because this is -- most utilities use nameplates. So when  
23 they get information from PV developers, they usually use  
24 the DC nameplate.

25 Well that's DC, it's not AC. So there is

1 inherently a buffer in there of 15 to 20 percent, because  
2 that DC rating isn't the same thing as an AC equivalent. So  
3 this issue of being right up that 100 percent minimum load  
4 is something I think you need to be very well aware of.

5           Typically, we went through this discussion  
6 before, and that's why I think the approach that SMUD has  
7 taken was to do the calculation and then do the measurement,  
8 is really kind of what we want to get back to, to give that  
9 comfort level and to understand the risk.

10           This idea that you're going to be running up  
11 against the reliability issues, I think you need to be at  
12 least aware that there are better ways of measuring it and  
13 calculating. Traditionally, U.S. utilities do a lot of  
14 calculations. Europeans do a lot more measurement systems.

15           I think what SMUD has done is tried to measure  
16 the best, or bring together the best of those two practices,  
17 and trying to give some sort of comfort to what they're  
18 doing, because they're pioneering in this whole effort, and  
19 I think we need to be capturing those pioneering efforts.

20           MS. KERR: Ms. Peterson.

21           MS. PETERSON: Yes. I'll just list some of the  
22 additional buffers that are proposed within Rule 21,  
23 alongside the 100 percent minimum load screen.

24           There are two additional screens in supplemental  
25 review related to power quality and voltage fluctuation,

1 allowing the utility engineer the chance to satisfy  
2 themselves that the interconnection of that particular  
3 facility will not exceed some of the limits that are set in  
4 other electric tariffs by the CPUC, for example.

5 Another form of buffer is what it takes to get  
6 into supplemental review. The settling parties raised the  
7 fee for supplemental review from \$600 to \$2,500 and the  
8 tariff allows 20 business days for the utility to complete  
9 the supplemental review process. So all those are forms of  
10 providing the utility engineer the opportunity to assure  
11 themselves that 100 percent of minimum load is a viable  
12 generating capacity limit.

13 MS. KERR: Go ahead.

14 MR. DAUTEL: Real quick, especially as we get  
15 back to the utilities. I don't feel like I have a good  
16 sense for what the utilities' position on Mr. Coddington's  
17 kind of translation of 15 percent screening to a 50 percent  
18 minimum load screen. Do you guys accept that, or are -- do  
19 you have concerns with that kind of logic?

20 MS. KERR: Mr. Roughan.

21 MR. ROUGHAN: Frankly, I think it's a little  
22 premature to suggest that, on a comment by Mr. Coddington a  
23 few minutes ago, whether we can accept it or not. I mean we  
24 do want to review that. I mean it's worth -- it absolutely  
25 is -- he's absolutely correct about the derivation of the 15



1 percent. We all accept that.

2 I think ultimately we really need some time to  
3 kind of think through that, whether that's an acceptable  
4 number or not. I think we'll still run up against what  
5 we're hearing from most of the other parties, that in many  
6 cases, with tens of thousands of line sections, the data,  
7 the measured data is not available.

8 MR. DAUTEL: I mean this assumes data is  
9 available obviously, or that you can get it through some  
10 process.

11 MR. ROUGHAN: Yeah, and again, the reason I'm  
12 just hesitating a tad is my prior statement about the net  
13 power that we're actually seeing at our substation breakers  
14 and reclosers, right? It's a net of the load on the  
15 circuit, less any DG that we don't have monitoring data  
16 available for.

17 As Steve mentioned, New Jersey, they don't know  
18 anything less than two megawatts. They know the nameplate,  
19 they know where it is. But they don't really know if it's  
20 operating or not, and they don't have any detail at the peak  
21 hour of the feeder or the minimum load hour of the feeder,  
22 what that particular generator was doing.

23 I think that's the real key here, is that if we  
24 had all these pieces of information, it would be really  
25 simple. We could say yeah, whatever percent of minimum load

1 is perfect, right. But there's a lot of pieces of  
2 information that just aren't today available, but eventually  
3 will become available to us.

4 MR. DAUTEL: I see what you're saying, but I  
5 don't see why that puts any additional uncertainty into the  
6 minimum load comparison that wasn't already in the  
7 comparison to peak load.

8 MR. ROUGHAN: Well ultimately, even with that 50  
9 percent peak load value, there was always a way the  
10 utilities could look at that and say yes, it's good to go.

11 It made it through the screens, or say because  
12 of, you know, the supplemental screens the California Rule  
13 21 proceeding put together are other screens that utilities  
14 did anyway.

15 Every project, it's not just does it pass the  
16 screen, it's good to go; it's you go through the screens and  
17 then kind of look at what else is there, double-check what  
18 else is really going on in the area, you know, future plans  
19 for abandoning an old substation, future plans for upgrades.

20 There's lots of other things that the planning  
21 engineers are looking at, besides simply was it 14.9 percent  
22 of the screen, or was it 15.1 percent. And I do have to  
23 disagree with the fact that 15 percent is some sort of magic  
24 number that automatically jumps people into a detailed  
25 study.

1           In many cases, there's plenty of ways you can get  
2 around the 15 percent if you're over it by a little bit, if  
3 you don't have all these other issues in place and the  
4 engineers who work the area understand those issues best,  
5 and are the best suited to come up with whether that's  
6 acceptable to allow it to go online, with simply going  
7 through the Fast Track.

8           MS. KERR: Mr. Singh.

9           MR. SINGH: Yes. I guess I feel compelled that  
10 I've been hearing be careful, double-check, study some more.  
11 I get the position from a lot of the utility representatives  
12 here. Oh, we haven't figured it out yet. We've got to, you  
13 know, it will take some time. You know, it's tough, we've  
14 got to be careful. We get that.

15           In terms of innovation, there was a question  
16 earlier about us working with the utility industry.  
17 Speaking for a company that's actually owned by electricite  
18 de France, that's our parent company, there's a heck of a  
19 lot of innovation going on in our company, not only in  
20 price, because as has been mentioned, the price of PV has  
21 dropped dramatically, but in terms of quality, in terms of  
22 high penetration quality.

23           There's Solar Electric Power Association. They  
24 recently had a high penetration PV conference that was well-  
25 attended by both developers and utilities. So that dialogue

1 is very much happening, and I'm sure a lot of the utilities  
2 here are a part of it. We are.

3 So I think for FERC staff and Commissioners, to  
4 rest assured that innovation is not the challenge here from  
5 the IPP side, and we do see some utility engagement on how  
6 to make this work. But the tone of just be careful, further  
7 study, further study is not going to work in our policy  
8 context today.

9 We can't just study this to death, and the places  
10 that are actually making the advancements on this are the  
11 places that have assertive policies. Sacramento's been  
12 mentioned, the State of California. We have to learn from  
13 that and leverage that to come up with better clarity across  
14 the country.

15 MS. KERR: Okay. We have barely touched on the  
16 two megawatt Fast Track limit, and we're getting close to  
17 lunch. So I would like to shift to that topic. So SEIA has  
18 submitted that the two megawatt threshold for eligibility  
19 for the Fast Track should be eliminated or increased to ten  
20 megawatts.

21 What would be the consequences, whether it's  
22 technical, safety, reliability, administrative, of  
23 increasing or eliminating the two megawatt threshold?

24 Mr. Carranza and then Mr. Lenox.

25 MR. CARRANZA: Well at least, for instance, you

1 need, the first thing I would point out is the maximum  
2 rating that we typically lead our circuits to is 10  
3 megawatts. So automatically when I tell you, unless there  
4 is a lot of load on that circuit that can handle the  
5 generaton that is being attached, it is not going to go  
6 through Fast Track.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1           Number two, we've been doing this kind of work  
2 for several years, and it's our experience that the further  
3 you move away from the two megawatt limit, the higher the  
4 probability that your project will not pass Fast Track.  
5 It's just the reality on our system and where the  
6 interconnections are happening.

7           The interconnections will probably happen faster  
8 if they were being developed in areas where the load centers  
9 were at, but the reality is that you can't put large PV  
10 systems where the load centers are, at least in San Diego,  
11 because that's where there's very little land available.  
12 And whatever is available is very costly.

13           So they are looking at going out to our rural  
14 areas. And as I mentioned earlier, our rural areas are not  
15 designed to carry that type of generation because the load  
16 was never designed to be there.

17           MS. KERR: Mr. Lenox.

18           MR. LENOX: Yes. You know, the system size cap  
19 is in effect just another rule of thumb that is being  
20 imposed. And again it currently puts you into this black  
21 box scenario.

22           The other screens that we're looking at all have  
23 a specific technical basis. I don't disagree that as you  
24 get over a certain size the probability that you won't pass  
25 some of the other screens goes up, but it doesn't mean that

1 you should arbitrarily cut off the ability to be assessed  
2 under those screens just based on the size line because, as  
3 we all agree, every circuit is different, locations on  
4 circuits are different, and it's really, you know, a  
5 somewhat arbitrary rule of thumb.

6 MS. KERR: Okay, Mr. Carranza.

7 MR. CARRANZA: Just a quick response. You may  
8 consider that an arbitrary limit, but through experience we  
9 have found that if you go--if you move that up to 10  
10 megawatts, let's say, and you want to push everything  
11 through Fast Track, you're just going to bottleneck  
12 everything. Things just aren't going to flow.

13 We're going to have to look at the Fast Track and  
14 everything from that point on is either going to go into  
15 what you fear to be an independent study. It's not going to  
16 work.

17 MS. KERR: Okay. Again, I'm going to keep moving  
18 along here. I'm interested, Ms. Peterson, in what  
19 deliberation of the Fast Track threshold was there in the  
20 Rule 21 proposal?

21 MS. PETERSON: Extensive deliberation.

22 (Laughter.)

23 MS. PETERSON: And honestly, I actually thought  
24 that between Mr. Lenox and Mr. Carranza they actually  
25 captured the issue quite well.

1           From the developer perspective, if I can  
2 recapitulate, is well let's take a look and see if this  
3 point of interconnection happens to be a place, because of  
4 these unique characteristics, where the project of X size  
5 above that size limit might actually make it through the  
6 Fast Track screens.

7           The utility perspective, if I can restate what  
8 Jose just said, is that you want to balance the number of  
9 applications into Fast Track so that it remains fast. Right  
10 now in the proposed reform, Fast Track should last 15  
11 business days. And there are some technical considerations.

12           They are different, depending on the design and  
13 operation by each utility in their service territory, and so  
14 the ultimate compromise that came out of our settlement  
15 process established different size limits according to the  
16 interconnection voltage of the particular utility service  
17 territory. So it's 1.5 megawatts for San Diego Gas &  
18 Electric, and 3.0 for both Edison and PG&E up to a 21 kV  
19 interconnection.

20           I should mention that San Diego Gas & Electric  
21 has up to 12 kV interconnections in their distribution  
22 system.

23           MS. KERR: Okay. Mr. Roughan.

24           MR. ROUGHAN: If I could just suggest the fact  
25 that the 2 megawatt limit was not an arbitrary figure. It



1 was actually worked out over many, many months in terms of  
2 the small gen interconnection proceeding negotiations of 10  
3 years ago.

4           So the fact of the issues relative to what Jose  
5 and Rachel have mentioned about the voltage level you're  
6 interconnecting to, the fact that most projects at this  
7 megawatt size whether it's 2 or 10, are typically trying to  
8 connect to lower distribution voltages purely due to the  
9 cost of the interconnection versus connecting to 115,000  
10 volt transmission at much higher cost for all the equipment  
11 that you need to buy to interconnect to a higher voltage  
12 versus a lower voltage.

13           So there's a strong desire to be able to  
14 interconnect at lower volt distribution. And a megawatt  
15 limit based on voltage is a much more accurate  
16 representation of what can be done. But the 2 megawatts is  
17 not arbitrary. It was a negotiated value in a prior process  
18 and potentially could be looked at, or should be looked at  
19 again going forward.

20           MS. KERR: Okay. So it sounds like perhaps a  
21 limit based on voltage might be an option? Because, I don't  
22 know, it sounds like that's where you ended up. I don't  
23 know if there were other options discussed during the  
24 settlement process?

25           MS. PETERSON: There were other options discussed

1 ranging up into much higher megawatt sizes. Yes, we ended  
2 up at those size limits also based on the voltage of the  
3 interconnection. That just appeared to satisfy the wishes  
4 of all concerned.

5 I will state that the settling parties set out a  
6 recommended scope for phase two of our interconnection  
7 rulemaking, and they specifically want to revisit those size  
8 limits. That's driven by the developer community, that  
9 request.

10 MS. KERR: Okay. So any last comments for this  
11 first panel before we break?

12 (No response.)

13 MS. KERR: Or from staff?

14 (No response.)

15 MS. KERR: Okay, well thank you all for a good  
16 discussion. I would like to remind everyone that we are  
17 accepting written comments on the topics discussed today  
18 until August 16th. So if you want to clarify, or add  
19 detail, or even audience members or other members of the  
20 public, we encourage comments based on what was discussed  
21 here today.

22 So I would ask that everyone be back a little  
23 before 1:00 so we can start the afternoon panels on time.  
24 If you need suggestions for lunch, grab a staff member and  
25 we would be glad to help you.

1                   There is a cafe at the end of the hallway on this  
2 floor in this building.

3                   Thank you.

4                   (Whereupon, at 11:37 o'clock a.m., the conference  
5 was recessed for lunch, to reconvene at 1:00 o'clock p.m,  
6 this same day.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



1 little bit about what we believe our official position has  
2 been, and then I'll definitely do a little bit more deep  
3 dive on the load data collection.

4           So you heard considerable amount of discussion,  
5 very fruitful and very productive in the morning panel, that  
6 there is a need for updating the FERC Order No. 2006, and  
7 that's what we believe at Sun Edison, that the SGIP  
8 procedures and the requirements do need the upgrade, because  
9 of the change of the circumstances for the solar electric  
10 generation interconnections, as we filed with our projects  
11 in the U.S. pipeline.

12           We strongly support SEIA's petition for update  
13 the SGIP rules, as they have failed in our ability to keep a  
14 pace with the rapid evolution of the solar industry and  
15 become barriers to entrants to the wholesale market. Recent  
16 experience with certain DG projects have very strongly  
17 asserted that process.

18           The current SGIP rules are an impediment to these  
19 renewable projects that we're trying to build and implement,  
20 because they're imposing unnecessary cost, prolonged delays  
21 and uncertainty in the solar energy development cycle.

22           The 15 percent rule in particular, we believe, is  
23 overly stringent and it triggers significant project delays,  
24 and we've had at least four projects that's encountered  
25 those delays. You heard a considerable amount of discussion

1 in the morning where 14 parties in California have reached a  
2 settlement process for the Rule 21 in CPUC rulemaking as  
3 part of the recent reform.

4 I think that's refreshing in terms of  
5 understanding some of the process that went into it. A  
6 tremendous amount of work has gone in, which could become a  
7 framework for us to consider.

8 The centerpiece of the settlement, as we all  
9 know, is a significantly reform CPUC jurisdictional Rule 21  
10 tariff, that can definitely act as source of ideas for  
11 updating te SGIP technical standards nationally.

12 The national best practice for the distributed  
13 generation penetration level has been introduced in that  
14 reformed Rule 21, under which the aggregate interconnected  
15 generating capacity can be equal to 100 percent of the  
16 minimum load on a distribution line section, and I believe  
17 SEIA's testimony talks at length about that.

18 As part of the settlement, the supplemental  
19 review screens have also been formalized, which I believe  
20 has a lot of merit for consideration, and clarified  
21 regarding the issues being addressed by the distribution  
22 provider. This is more robust look at site-specific impacts  
23 of power flow than the initial 15 percent review screen, as  
24 opposed to applying it globally.

25 Now let me talk a little bit about the whole load

1 data collection process. The ability to determine the  
2 minimum circuit load, we believe, is integral to a more  
3 effective screening protocol. That is our process, that it  
4 would significantly help us when we do feasibility analysis  
5 for the research.

6 We feel that because of lack of enough load data,  
7 we're in a black box where we don't have enough transparency  
8 and understanding of what the system circuit loading needs  
9 to look like.

10 Although it is not the universal practice of the  
11 utilities currently to monitor the minimum load and the time  
12 of operation across the majority of their radial circuits,  
13 this should not be a barrier to implementation of the solar-  
14 specific minimum load screen.

15 That's what we have talked at length, in terms of  
16 understanding that the solar projects should be subjected to  
17 the minimum load screen, as opposed to the other technology-  
18 specific projects.

19 Sun Edison also believes that the utilities  
20 should be required to collect and provide peak and minimum  
21 load data on all circuits, where existing plus planned  
22 distributed generation additions would represent 15 percent  
23 or more of the circuit peak load to generation developers.

24 This likely would mean monitoring the load and  
25 installing good monitoring devices where they are not

1 available, but we believe that the time has arrived where we  
2 need to seriously consider that.

3           As an alternative, Sun Edison also recommends  
4 that where actual minimum load data is not available,  
5 powerful software algorithms be extensively used by the  
6 utilities, and consultants be hired wherever there's the  
7 need for using that expertise and the specialized skills, so  
8 that load data can be estimated with reasonable accuracy,  
9 based on the old historical load patterns and standard load  
10 profiles for various customer classes, that many utilities  
11 maintain and update on an annual basis in their database.

12           Finally, the Sun Edison team feels that there's  
13 greater transparency to the load data that should be  
14 encouraged, more widespread access to load data, and known  
15 system limitations to accommodate any additional distributed  
16 generation, will greatly facilitate the developer site  
17 selection of investments, streamline or connection review,  
18 and enable fast track eligibility.

19           So let me wrap with some of the recommendations  
20 that we believe is what sharing with the panel is. We think  
21 a swift SGIP rulemaking action by FERC would be highly  
22 beneficial, and SEIA has proposed supplemental minimum  
23 daytime load screen for solar PV should be adopted.

24           Utilities should be required to collect minimum  
25 load data, or rely on well-established engineering



1 techniques, to establish and estimate minimum load on  
2 circuits with significant PV penetration.

3           We also recommend that the utilities share this  
4 useful load data with developers by execution of NDAs, the  
5 non-disclosure agreements, because we've heard considerable  
6 amount of concern in terms of getting data out there. But  
7 if the developing world is willing to sign the non-  
8 disclosure agreements, that should alleviate the concerns  
9 associated with providing such data.

10           And posting such data in secured websites that  
11 developers can easily access upon execution of NDAs with  
12 utilities or regional reliability organizations. California  
13 ISO, for example, uses a similar approach, where market  
14 participants are allowed to go into their secured websites  
15 and download a tremendous amount of data, as opposed to  
16 having a public open forum. So we understand that concern.

17           Lastly, Sun Edison recommends that post-  
18 rulemaking, various working groups be formed among the  
19 distribution system stakeholders, to promote a more  
20 collaborative working environment, and implement transparent  
21 rules that provide a very clear and predictable path to  
22 interconnection for distributed generation.

23           We like the idea of having the working groups  
24 formed after the rulemaking as opposed to before, because  
25 that will slow down the rulemaking process. With that, I'd

1 like to conclude my talking.

2 MS. KERR: Thank you. Dan Adamson.

3 MR. ADAMSON: Thanks, Leslie. I'm Dan Adamson of  
4 SEIA. I'm a Vice President of Regulatory Affairs and  
5 Counsel, and first just thanks to Leslie and everyone else  
6 on staff for all the work you've been doing on this issue.  
7 We know there's a lot of demands on your time, and so just  
8 by choosing to spend some time on this issue, we really  
9 appreciate that.

10 From what Bhaskar just said and the discussion  
11 this morning, it's obvious to everybody in this room that  
12 getting 100 percent of minimum load data, either actual data  
13 or an estimate, is really integral to making the SEIA  
14 proposal work, the Rule 21 proposal work.

15 You know, without that data or a reliable  
16 estimate, you cannot use the new screen. So it's very  
17 important. As far as the importance of the data, the  
18 Commission has a 20- or 30-year history, or at least 20 year  
19 history on the transmission side of using openness and  
20 transparency about what's going on on the transmission  
21 system, what type of capacity is and isn't available.

22 While this isn't exactly the same, it is the same  
23 in the respect that there needs to be transparency about  
24 this data. Developers need to have the same access to it  
25 that utilities have. You know, that's the way you're going

1 to get open access. That's the way you're going to get  
2 transparency.

3 SEIA filed this petition in February, which is  
4 before the Rule 21 settlement was executed, and what we  
5 recommended at the time was that the obligation to collect  
6 and provide minimum load data be triggered when aggregate DG  
7 on a circuit line section is ten percent or more peak load.

8 So that would mean that in states like New Jersey  
9 and California and other areas where there are, there's a  
10 fair amount of penetration of solar and other DG on a  
11 circuit, that the utility or transmission provider would be  
12 required to provide that data.

13 But in other areas of the country where there's  
14 little or no DG, it wouldn't have any effect, and you  
15 wouldn't have to collect the data. So for example, in North  
16 Dakota, just to pick a state. It's unlikely a ten percent  
17 threshold would trigger a minimum load data collection.

18 I think for a lot of the coops, they were on  
19 earlier, I think, you know, a lot of them are in a position  
20 where the amount of DG on their system is slim to none, and  
21 so this wouldn't really have any impact.

22 We also raised the concept, which was later  
23 reflected in what Bhaskar said in Rule 21, that if you  
24 cannot get the data for whatever reason, that you would  
25 calculate it.

1           So now I'm going to talk about, I'm trying to  
2 follow the script here, you raised the issue of cost,  
3 because it does cost money to collect minimum load data, and  
4 some utilities have a lot of capacity already to collect  
5 this data. Many, and indeed I'm sure it's the majority, do  
6 not.

7           I think you've got to step back a little bit.  
8 There's a lot of utilities making investments in modernizing  
9 their distribution system, some under the ambit of Smart  
10 Grid, some under the ambit of, you know, just good practice.  
11 When they're doing that, oftentimes already they're  
12 including the capacity to monitor and report minimum load,  
13 and they should do that.

14           So if you're upgrading or modernizing your  
15 distribution system, you know, there's a lot of uses for  
16 this minimum load data, and you know, if we're going for a  
17 Smarter Grid, it would seem like a fundamental component of  
18 that would be not just knowing what the peak load is on a  
19 circuit, but knowing what the minimum load is.

20           So some of this can just be phased in over time,  
21 as other investments are made in the distribution system.

22           Just switching gears a little bit, you know,  
23 we're here today at FERC. So we're talking about FPA  
24 jurisdiction, not state jurisdiction, and even though I  
25 think this is an extraordinarily important proceeding, I'd

1 be the first to tell you that, you know, FERC's jurisdiction  
2 over DG interconnection is narrow.

3           It occurs when there's a transaction involving an  
4 interconnection for wholesale transactions subject to an  
5 OAT. So that's a very definable universe.

6           So what that means is within its own  
7 jurisdiction, I'm going to assume, you know, that FERC will  
8 deal with the issue. But that even if you're using a line  
9 that's a dual use line, that's being used for both retail  
10 and wholesale interconnections, FERC has held previously,  
11 and I expect to continue to hold, that the cost allocation  
12 responsibility is with the state.

13           So although it is an important issue in this  
14 proceeding, it's important in terms of FERC's jurisdiction,  
15 if you go into dual use lines that are jurisdictional to  
16 states, this is going to be an issue of cost allocation  
17 dealt with by the states. My guess is that different states  
18 would deal with it in different ways.

19           In closing, SEIA is very eager, you know, we  
20 understand that this is a difficult issue. Some issues, I  
21 think, like the 100 percent of minimum load, at least in my  
22 humble opinion, black and white, you know, who pays for what  
23 is, you know, often depends on where you stand as where you  
24 sit.

25           So you know, we're eager to work with the

1 Commission, states, utilities and others, to come up with  
2 balance and effective solutions to the costs related to  
3 collection of minimum load data. Thank you very much.

4 MS. KERR: Thank you. Also just like we're  
5 having a little feedback, so if anyone has a cell phone  
6 close to a mic, please turn it off. Okay. Our next speak  
7 is Kristen Nicole. She is with the Electric Power Research  
8 Institute.

9 MS. NICOLE: Thank you, Leslie. Good afternoon  
10 and thank you for the opportunity to speak here today. As  
11 Leslie said, my name is Kristen Nicole. I'm the Senior  
12 Project Engineer in the Integration and Variable Generation  
13 Program at the Electric Power Research Institute or EPRI.

14 EPRI is an independent, non-profit mission-driven  
15 company performing research development and demonstration in  
16 the electricity sector for the benefit of the public. Our  
17 membership represents over 90 percent of the electricity  
18 base in the United States, and we're currently experiencing  
19 increasing growth in our international membership to the  
20 tune of about 15 percent.

21 It was interesting our colleague from enXco is  
22 here. We work closely with EDF as well as in France. For  
23 the past four years, EPRI's conducted a host of  
24 collaborative research efforts and facilitated dialogue  
25 amongst power system stakeholders, spanning all aspects of

1 electricity generation delivery utilization, in fulfillment  
2 of this mission.

3           Myself, along with my colleagues Tom Key and Jeff  
4 Smith were co-workers on the Embril published paper  
5 referenced in the SEIA docket, updating interconnection  
6 screens for PV system integration. This effort was  
7 conducted in the context of many other cooperative research  
8 efforts we have going on at EPRI, related to renewables,  
9 storage, integration, interoperability, grid modernization,  
10 grid operations and planning, just to name a few.

11           As Mike Coddington introduced this morning, the  
12 white paper was intended as a stand-alone activity to  
13 provide a high level technical basis for discussion on this  
14 topic. So it's fascinating that it's led to such an intense  
15 conversation today.

16           As an organization, EPRI does not hold, take  
17 stands or hold political persuasions in policy-related  
18 activities. So we are, again, fulfillment of our non-profit  
19 mission.

20           So for our panel, we've been asked to address the  
21 issue of minimum load data as a potential measure for PV  
22 hosting capacity, in the context of the points Leslie  
23 distributed. The idea of the availability of certain types  
24 of data for this type of analysis, potential concerns  
25 associated with the use and sharing or transparency around

1 the data, methods of minimum load estimation and alternate  
2 proposals to facilitate PV siting.

3 As mentioned in the paper, the 15 number, we  
4 talked about this this morning as well, so I'll try not to  
5 duplicate. But the 15 percent number originated from the  
6 half of 50, of 30 percent of peak load, which is generally  
7 rule of thumb for average annual minimum load.

8 The actual ratio of minimum to peak load varies  
9 widely based on many factors. These include, for example,  
10 the type of load being served on a particular circuit. It's  
11 important to remember that load is not the only factor. In  
12 fact, if there is one point that I could leave everyone with  
13 today, it would be that the interconnection process is  
14 unique, depending on the location in the utility  
15 jurisdiction.

16 The circuits, the system, the equipment on the  
17 system, the history of that utility, impedance. There's a  
18 host of different factors that will determine the outcome of  
19 how PV is going to perform in concert with the power system  
20 at that particular location. So the answer is that it  
21 depends.

22 The practice of managing PV penetration levels by  
23 simple benchmarking against load data works well in low  
24 penetration situations, as folks have identified today.  
25 Certain parts of the country, individual power systems are



1 moving towards higher penetrations, particularly California,  
2 Hawaii, New Jersey.

3 For solar integration, it's important that codes  
4 and standards are continually reviewed and revised in  
5 accordance to maintain relevancy of the changing landscape,  
6 and folks echoed that this morning, with the activities  
7 going on in IEEE, as well as Rule 21.

8 The decisions made on this changing landscape are  
9 going to have implications for future generations. So in my  
10 opinion, it's important that policymakers strive to become  
11 as well-versed in some of these electrical engineering  
12 challenges faced by a variety of different parties  
13 associated with integration of DG.

14 These issues are complex and, in my personal  
15 opinion, won't be sorted out just today. So if the  
16 Commission decides to go forward with the working group or  
17 other stakeholder process in order to gather more  
18 information, it should be -- EPRI should be thought of, the  
19 staff and research that we conduct, as a resource for the  
20 community at large and the public at large.

21 It's known that PV has a strict daytime pattern  
22 based on diurnal cycles. So industry's interest in  
23 isolating daytime minimum load data as a factor is  
24 understandable and reasonable. I mean if you just look at  
25 the facts, PV's only on during the day. So it's a very

1 unique characteristic of the generation.

2           The experience is that line section minimum load  
3 data is not widely available. Monitoring and grid  
4 modernization efforts, including Smart Grid, are  
5 increasingly producing a host of new data streams, and  
6 utilities are being bombarded with a lot of new data  
7 streams.

8           It's a matter of taking those new data streams  
9 and understanding how to effectively figure out which ones  
10 are necessary, how to use them. I feel like we're just at  
11 the beginning of this process for PV in general, and then  
12 also for some of the Smart Grid efforts that are underway.

13           At the line segment, it's rare that utilities  
14 will have minimum load data. Jose mentioned this earlier,  
15 unless the line segment happens to be a unique situation  
16 where it's representative of a full circuit. It's not  
17 uncommon for folks to have maximum or minimum load data  
18 through SCADA at the substation level or at the transformer  
19 level.

20           But if you have, you know, three to ten circuits  
21 coming out of that system, you don't necessarily have the  
22 clarity or the visibility below that. So that's a  
23 legitimate concern if the data doesn't exist, and then, you  
24 know, as folks mentioned, you have to understand cost  
25 allocation, understand how to monitor and collect that data.

1           So historically again, you haven't been able to  
2 get access to this data. This is really just the advent of  
3 digital recorders, including digital protective relays and  
4 others, the acquisition of system equipment that come on in  
5 the last few years.

6           I'm going to skip ahead here, just in the  
7 interest of time. But again, so line section monitoring  
8 again is not readily available. It's not impossible in  
9 order to collect this data, but it's extremely labor  
10 intensive; it's easier at lower voltages versus higher  
11 voltages.

12           So there are a lot of considerations in  
13 understanding where you're going to collect that  
14 information, and then also you may only be able to collect  
15 that information for downstream activities.

16           A positive aspect of availability of peak load  
17 data is that it's historically been collected as part of the  
18 system planning process. So you have, it's not just for one  
19 generation system. Utilities have institutionalized the  
20 need for peak load data. This doesn't currently exist for  
21 minimum load data.

22           So we're really, the impetus on collecting that  
23 data is solely based on this need. So if it was available,  
24 it's important to consider additional analysis that would be  
25 required in order to use minimum load data. Folks were

1 mentioning earlier the potential of shifting load if you've  
2 got switching operations and load is shifting, or you have  
3 equipment that's down.

4           You might have a situation where, you know,  
5 you're able to collect minimum load data, but is that  
6 actually, you know, what's the uncertainty of that data?  
7 What's the activity below that data? So again, an analysis  
8 is also something to consider.

9           Online power flows have been mentioned as a  
10 solution to some of these problems for transmission system  
11 operations. This is feasible. For distribution operations,  
12 this is very new practice. So I'm sure, as folks will  
13 mention later, that type of future of being able to use that  
14 data is not readily available right now. This is a very new  
15 space for distribution system applications.

16           So in closing, EPRI is -- and I will just  
17 mention, we're working closely with the national labs, the  
18 CPUC, and the four major California utilities on a  
19 California solar initiative project, looking at alternative  
20 screening methodologies, with the goal of streamlining the  
21 interconnection process.

22           So this effort is underway, based on years of  
23 research. This is not happening overnight, but we did just  
24 get the project. So over the next several years, we'll be  
25 looking at trying to form a technical basis for the future

1 of the screens, and again, this is based on the idea that  
2 every system is unique, every circuit's unique, so how can  
3 you take such a diversity of circuits or scenarios and  
4 figure out a way to generalize it, or at least condense it  
5 so that it is usable in broader scenarios.

6 We're using, you know, our existing experience in  
7 power quality monitoring. We have a deep distributed PV  
8 project that's going on, where we're collecting over --  
9 we're collecting data from about 200 spots around the  
10 country.

11 We're using this data in our simulations and our  
12 open DSS models, to better understand and characterize some  
13 of the activities going on in the circuits, and we are  
14 working collaboratively with a lot of stakeholders in the  
15 room. So thank you for your time.

16 MS. KERR: Thank you. Next, we'll go to Roger  
17 Salas.

18 MR. SALAS: Thank you for the opportunity to  
19 participate in today's panel discussion. My name is Roger  
20 Salas, and I am a Supervising Engineer for Southern  
21 California Edison.

22 In my current role, I supervise a team of  
23 engineers who are responsible for reviewing generator  
24 interconnection requests, and for performance system studies  
25 under our FERC jurisdictional tariff, as well as under the

1 California Rule 21 tariff.

2 I respectfully encourage the Commission to reject  
3 SEIA's proposal that the transmission owners be required to  
4 collect and provide minimum load data to generator  
5 developers.

6 Our experience over the last three years with the  
7 review of approximately 590 applications under the SGIP,  
8 demonstrates that the current SGIP fast track process works  
9 as intended, by separating projects that could interconnect  
10 quickly without safety and reliability concerns, from those  
11 projects that require further study.

12 At SCE, the 15 percent screen is not the most  
13 significant factor as to whether a project meets the fast  
14 track requirements or not. Rather, the most significant  
15 factor is whether developers choose to propose projects in a  
16 transmission-constrained rural area, as opposed to proposing  
17 projects in a non-transmission constrained urban area.

18 Since January 1st, 2011, SCE has completed  
19 analysis of approximately 95 fast track projects. 31 of  
20 these projects were proposing transmission-constrained  
21 areas. Only one of the 31 projects qualified for fast  
22 track. The other 30 projects failed at least two of the  
23 other screens not related to 15 percent, related to the  
24 transmission constraints of the location where they're  
25 proposing to interconnect.

1           On the other hand, of the 64 projects that we're  
2 proposing in non-transmission constrained areas, 50 of the  
3 64 projects passed the fast track requirements. This  
4 demonstrates that the existing fast track process is  
5 appropriately distinguishing between projects that no  
6 potential for safety and reliability issues, from those  
7 projects that require further study.

8           Furthermore, complying with SEIA's request will  
9 impose burdens, both in terms of resources and expenses,  
10 without delivering the benefits that the generator  
11 developers are expecting. In its request, SEIA proposes  
12 that utilities publish minimum and peak load data for all  
13 circuits with penetration greater than or equal to ten  
14 percent of the peak load.

15           However, the 15 percent screen does not apply the  
16 circuit level, but at the line section level. Looking at  
17 the SCE-distributed system, while we do have load data on  
18 approximately 5,000 line sections, we do not have load data  
19 on approximately 33,000 line sections.

20           For these line sections, SCE will be required to  
21 install new devices and communication systems to determine  
22 whether such line sections meets the ten percent load  
23 requirement. Furthermore, simply obtaining raw data is not  
24 enough. The load data will need to be analyzed before it  
25 could be provided to project developers, requiring

1 additional engineering staff to verify and determine  
2 appropriate minimum loads for all line sections.

3           Proper verification requires trained engineers  
4 with knowledge of SCE systems and conditions. These  
5 measures are simply not practical and will not address  
6 SEIA's concerns. As explained previously, the most  
7 significant factor for the fast track analysis is whether  
8 the proposed project location is within a transmission-  
9 constrained area or not.

10           Approximately half of the line sections in SCE's  
11 service territory are in transmission-constrained areas. So  
12 publishing minimum load data for these sections will not  
13 enable more projects to pass the fast track.

14           In fact, even if these projects in these areas  
15 pass the 15 percent screen or even the 100 percent minimum  
16 load screen under supplemental review, these projects will  
17 ultimately still have to go through the study process, as  
18 these projects will fail other screens related to  
19 transmission problems.

20           Nor will SEIA's proposal provide any meaningful  
21 help to projects seeking to connect in non-transmission  
22 constrained areas because the existing fast track process  
23 works well for those projects.

24           Since January 1st, 2011, approximately 78 percent  
25 of fast track projects in non-transmission constrained areas



1 have met the fast track requirement. They have proceeded  
2 under the fast track process. The 78 percent passing grade  
3 speaks for itself. The fast track process is working in the  
4 non-transmission constrained areas.

5 In conclusion, my experience with the fast track  
6 interconnection process has shown that it is working, and it  
7 is not unduly discriminating against solar developers. Of  
8 course, I'm interested in hearing other parties'  
9 perspectives in this issue, and look forward to further  
10 discussion today. Thank you.

11 MS. KERR: Thank you. Steve Steffel from  
12 Atlantic City Electric.

13 MR. STEFFEL: Thank you, Leslie. Steve Steffel  
14 representing PEPCO Holdings, and Atlantic City Electric is  
15 one of the --

16 COURT REPORTER: Would you turn your mic on?

17 MR. STEFFEL: Oh, sorry. Steve Steffel  
18 representing PEPCO Holdings, and I'm the department manager  
19 of Distributed Energy Resources Planning and Analytics. We  
20 have the three utilities, and Atlantic City Electric in  
21 southern New Jersey is the most active area. But we have  
22 solar going in the Delmarva Power and Light area, and also  
23 in this area of Washington, D.C.

24 Looking across the board on the feeder data that  
25 we do have, there are obviously some feeders that don't have

1 this data. They have older data collection systems,  
2 metering and so on. Some of them are manually read, and of  
3 those feeders that do have this data, typically this data  
4 has not gone through scrubbing process.

5           So it would be, you know, starting there, that  
6 would be an extra effort to do all the error checking and  
7 make sure we've got correct data. We don't have typically  
8 of any feeders that have this load data by section. Perhaps  
9 there's some device out there that we've put in that may be  
10 recording it, but it's not something actively being  
11 retrieved by our SCADA system.

12           Things that would affect the accuracy and so on,  
13 phase imbalance, metering the inter-inaccuracy for  
14 estimation error would need to be accounted for if you're  
15 going to estimate the minimum load. And again, I had  
16 mentioned before, you need to take into account the minimum  
17 phase.

18           There are phase imbalances, 15 to 30 percent at  
19 times. They get balanced every so often, every few years.  
20 But you've got to really be careful not to overlook that.  
21 The installed PV will mask some of these loads, and  
22 there's changes due to weather, economics, the DERs being on  
23 and off, and all of that has to be taken into account.

24           So just publishing a raw piece of data is not  
25 going to be meaningful by itself. All these other things

1 have to be taken into account. To make it even more useful,  
2 the pending systems, those with in service states after that  
3 load data was picked up, have to also be taken into account,  
4 which increases the complexity to make that data useful and  
5 meaningful, and something that can be actionable.

6 In addition, there's distributed automation and  
7 restoration schemes that are in existence on many feeders,  
8 and are being implemented throughout our system to improve  
9 the reliability of the system.

10 If the practice of providing the data is started,  
11 this type of data would have to be published in a public  
12 website, to ensure that there's no preferential treatment,  
13 and it would have to be updated fairly frequently to be of  
14 value. So there is a significant effort that would need to  
15 be made on the part of the utility.

16 Since there's a lot of other screens and a lot of  
17 other things that can limit or trigger a study, and it would  
18 not ensure that the developer could put a system in of a  
19 particular size at a certain location on the feeder, we feel  
20 like, you know, it's a lot of effort that may not provide as  
21 much value as was intended.

22 The other thing is it was brought up in New  
23 Jersey, and when the desire for this data was brought up,  
24 one of the major issues was cost. Who would pay for it? We  
25 never had the solar industry sign on to paying for it

1 completely. So it would obviously be the rest of the  
2 customers that would be paying for it, if we actually do  
3 move ahead and do it.

4 I mean there's measurement equipment, there's  
5 personnel time for all the analytics, and then the posting  
6 of the data and maintaining of that data. So I think those  
7 things are significant to consider and weigh against the  
8 value of that data being provided. Thank you.

9 MS. KERR: Thank you. Tim Roughan from National  
10 Grid, representing EEI.

11 MR. ROUGHAN: Thank you again for giving me the  
12 opportunity to speak like this morning. So going through  
13 this particular question, I think ultimately, you know, Dan  
14 is correct, that there's lots of activity, lots of planning  
15 for reliability enhancements, distributed automation, to  
16 increase reliability of the system, while maintaining low  
17 delivery costs.

18 I mean it's, I mean folks who have been in the  
19 regulatory process know it's quite a process to get a rate  
20 increase put through your state regulator. So when we have  
21 these long-term plans, and if they've been approved, they  
22 need to go down the same path. There's a lot of reporting  
23 requirements to show that you're making progress on putting  
24 in this equipment.

25 If and during, in the middle of that process you

1 now have to adjust or modify where you're putting your  
2 equipment because a circuit gets to ten percent saturation  
3 for PV, that will simply result in some inefficiencies of  
4 that deployment.

5           We need to make sure we work with what the  
6 regulated utilities are, the distribution levels are already  
7 doing, and not impose additional requirements on them, that  
8 require us to go back to each state regulator to get  
9 additional funding to do other work that we hadn't already  
10 talked about.

11           I talked this morning about the three, five, ten  
12 year capital plans most utilities go through and propose to  
13 the regulator. Within those capital plans are things like  
14 DA, are things like Smart Grid enhancements, are things like  
15 communication and controls and intelligence on the system,  
16 so we can automatically switch devices around.

17           So those have been set up and are in place and  
18 we'll work on those plans going forward. Again,  
19 interrupting that plan obviously won't be the most efficient  
20 way to move forward, because ultimately getting the minimum  
21 load data is going to be a long term process. It won't  
22 happen overnight.

23           I know for most utilities have significant data  
24 at the substation level, at the newer substations. We all  
25 have plenty of substations that have been out there for many

1 years, that likely don't have the sophisticated metering  
2 required. Many of the older substations only have peak load  
3 measurements.

4           They don't even have the ability to collect  
5 minimum load without replacing all the metering equipment,  
6 which is typically done in an upgrade when that substation  
7 then comes up due for an upgrade, if you will. So again,  
8 slowly deploying this type of equipment is really the way to  
9 get this minimum data.

10           We had an extensive conversation this morning  
11 about the true value of that minimum load data. I mean I'm  
12 still of the opinion that that's just a piece of the pie to  
13 look at, and to use it as a be-all to end-all screen will  
14 limit the flexibility of the distribution utilities, in  
15 terms of working with their systems, working to meet the  
16 local customer needs, and the reliability needs.

17           New customers come in, new customers go out. You  
18 know, a customer who had a three shift operation two years  
19 ago goes to two shifts. Now they don't have any load on  
20 that Saturday and Sunday afternoon, where typically your  
21 minimum daytime loads are during the late May or early  
22 October periods up in the Northeast for example, and that  
23 can just change.

24           We won't know that that entity went from three  
25 shifts to two shifts. Until they volunteer and call us, we

1 simply won't know. So there's a lot of moving targets here,  
2 and putting together, putting out a rulemaking and then  
3 putting working groups together to try to figure the rule  
4 out, I think, is going the wrong way.

5           So we want to point to set up the working groups  
6 up front to work out all the details. So when a rulemaking  
7 is actually established, you've got that breadth of  
8 experience and knowledge to work off of, versus pushing  
9 forward a rule that frankly will undermine significantly  
10 some utilities' ability to look further into the issues  
11 about the DG looking to be interconnected at that site.

12           We talked a lot about the locational aspects of  
13 these projects. I said it this morning. These projects are  
14 being built on the fringes of the territory. They're being  
15 built in the rural areas. They're being built on the weaker  
16 parts of the system.

17           So whatever the loads are out there is kind of  
18 immaterial, if the conductor site is already a problem, or  
19 if the voltage regulation issue is already a problem.

20           So I think we're kind of getting ahead of  
21 ourselves, trying to figure out how to get the minimum load,  
22 because we really haven't sorted out the answer. Is that  
23 really what we want to get? What's the problem we're trying  
24 to solve?

25           Just because customers don't pass the fast track

1 doesn't mean they don't, they aren't or cannot be  
2 interconnected. There is a study or potentially upgrades.  
3 But projects, we in the current phase of these multiple  
4 megawatt projects, which have only been a couple of years  
5 for us, we haven't seen any drop out.

6           Even with a study, they're going forward.  
7 They're getting built. They're producing solar power. So  
8 we have yet to see a project that fails a fast track not go  
9 forward and still be built. Now perhaps it's happening in  
10 other parts of the country. We're still only in the first  
11 two years of it up in the northeastern states.

12           But realistically, I think we have to recognize  
13 what problem are we trying to solve here. I think we first  
14 need to have that discussion amongst the technical parties  
15 and the different groups of utilities, and of the industry,  
16 to come up with that set of problems we're trying to solve,  
17 and then come with solutions, and then a rulemaking would be  
18 the appropriate method. Thank you.

19           MS. KERR: Thank you. And now to Kevin Fox of  
20 Keyes, Fox and Wiedman, representing IREC.

21           MR. FOX: Thank you, Leslie. Thank you. My  
22 colleague, Mike Sheehan, appeared on the first panel and  
23 provided a little bit of background information on IREC. As  
24 Mike mentioned, we are a 501(c)(3) non-profit, non-lobbying  
25 organization that is presently active, working on



1 interconnection reform efforts in about a half dozen states  
2 including California, Hawaii, Washington, Massachusetts, New  
3 Jersey and also, of course, are active here at FERC.

4 In the half dozen states where IREC is presently  
5 active, we see three developments driving interconnection  
6 reform efforts, all of which were touched on briefly this  
7 morning by panelists.

8 First, utilities are seeing a significant  
9 increase in interconnection requests in many parts of the  
10 country. Second, higher penetrations of distributed energy  
11 resources are being interconnected to our country's  
12 distribution systems. Third, new programs like feed-in  
13 tariffs and community renewables are bringing larger  
14 generators online that do not primarily serve on-site load.

15 These are new conditions that have emerged  
16 primarily in the last three years, well past the time that  
17 FERC adopted the small generator interconnection procedures.  
18 Much of the increase in interconnection activity we are  
19 seeing is due to a rapid increase in solar PV deployment.

20 According to the Solar Electric Power  
21 Association, in 2011, utilities interconnected over 62,500  
22 PV systems. To put this in perspective, about 350 non-solar  
23 PV plants larger than one megawatt were expected across the  
24 United States in 2011.

25 That means that for every non-solar PV plant

1 larger than one megawatt, utilities processed 175 solar PV  
2 applications. Conservative forecasts indicate that this  
3 number will grow to over 150,000 interconnections by 2015.

4 SGIP was not designed to handle this volume of  
5 interconnection requests, nor was it designed to address  
6 higher penetration levels that we are now seeing. Nor was  
7 it intended to facilitate larger and more complex generators  
8 that are increasingly being interconnected to our nation's  
9 distribution systems.

10 The impact of these market changes has been most  
11 significant in states like California, Hawaii, New Jersey  
12 and Massachusetts. However, these states are merely  
13 precursors. According to the Solar Electric Power  
14 Association, 22 utilities interconnected more than 500 PV  
15 systems to their electric power systems in 2011.

16 In fact, utilities with the highest cumulative  
17 solar watts per customer installed, now include utilities in  
18 Georgia and Tennessee. For these reasons, IREC believes the  
19 time is now right for FERC to update SGIP, to it continues  
20 to facilitate solar market expansion.

21 California and Hawaii have both made attempts to  
22 keep the number of applications manageable, by providing  
23 more information to developers in advance of a formal  
24 application being filed. In both states, it has become  
25 apparent that developers are filing multiple applications to

1 identify low cost places to interconnect.

2           In particular, developers may file several  
3 applications for the same projects, or portions of projects  
4 on nearby parcels, looking for how much capacity can be  
5 developed before expensive upgrades are needed. Hawaii and  
6 California are pursuing approaches to reduce the number of  
7 speculative applications.

8           One approach is to provide more information about  
9 low cost places to interconnect up front before a formal  
10 application is filed. Providing this information has the  
11 additional benefit of making better use of existing  
12 distribution system infrastructure, without requiring  
13 significant upgrades.

14           In California, stakeholders have proposed a pre-  
15 application report, to provide specific information on  
16 proposed points of interconnection. Rachel Peterson from  
17 the California PUC discussed this briefly this morning.

18           Against this backdrop, IREC would like to make  
19 three recommendations in response to the specific questions  
20 posed by FERC staff.

21           First, IREC believes the pre-application report  
22 should be incorporated into SGIP. Section 1.2 of SGIP  
23 currently allows for the provision of relevant information.  
24 But this section does not provide time frames for providing  
25 information, or a specific list of information that must be

1 provided.

2           It also does not provide reasonable compensation  
3 to a utility for time spent providing this information.  
4 IREC believes SGIP Section 1.2 should be modified to include  
5 greater specificity. Specifically, we endorse the pre-  
6 application report content of the proposed California Rule  
7 21 reforms.

8           We believe that this is the best means to provide  
9 developers with information to facilitate site selection and  
10 streamline the interconnection process.

11           Second, to the extent minimum load is a relevant  
12 consideration in the interconnection process, and IREC  
13 believes strongly that minimum load is a relevant criterion,  
14 this information should be provided in the pre-application  
15 report, so long as such information is readily available.

16           We do not believe the pre-application report  
17 should require utilities to make calculations or  
18 estimations, but rather should be a means of sharing  
19 information that is readily available.

20           Third, we believe FERC should not mandate a  
21 specific means of collecting or estimating minimum load  
22 data. We believe that there are a variety of approaches  
23 that utilities can use to calculate or estimate minimum load  
24 at the line section. We appreciate the fact that this data  
25 may not be readily available, and that the current

1 infrastructure may not be installed, so that utilities have  
2 it ready. But we do believe that utilities have the means  
3 to calculate or estimate minimum load.

4           This includes making use of Smart Meter data and  
5 SCADA systems deployed at substation distribution feeders.  
6 It also includes use of power flow modeling and the use of  
7 standard load profiles for different customer classes.  
8 Different utilities have different tools at their disposal  
9 currently, and we believe they will be developing additional  
10 tools over time.

11           We believe utilities should have the flexibility  
12 to use the tools that they believe are most cost effective  
13 for their situations.

14           Finally, we believe that requiring the use of  
15 minimum load data in the interconnection process will give  
16 utilities a reason to collect this data. Once it is  
17 collected, it can be made available in the pre-application  
18 report, and applied more readily in the supplemental review  
19 screening.

20           IREC believes any concerns associated with  
21 providing such data to generation developers through a pre-  
22 application report can be easily addressed through simple  
23 non-disclosure requirements. Thank you.

24           MS. KERR: Thank you. So we have some staff  
25 questions, and no Commissioners with us at this point. So

1 we'll get started. Each of you, I think, touched on this a  
2 little bit, but I want to ask it again, and try to drill  
3 down a little bit, the extent to which actual line section  
4 minimum load is currently available, if you have a feel for  
5 that either for your utility or for regions of the country.

6           If it's not currently available, will it be  
7 available in the near future, and if you can give us some  
8 estimate of what time frame you think that is? If it's not  
9 currently available, what are the obstacles to collecting  
10 and providing that data? Again, like this morning, if you  
11 could just indicate with your name plate that you're  
12 interested in answering. Okay. Mr. Salas?

13           MR. SALAS: Yes. As I said in the opening  
14 statement, the numbers that I provided are pretty much out  
15 of our databases, where I stated that 33,000. So  
16 altogether, we have approximately 38,000 line sections more  
17 or less. 33,000 line sections do not have any data  
18 whatsoever.

19           MS. KERR: Does that just include minimum load  
20 data?

21           MR. SALAS: No. No load data whatsoever.

22           MS. KERR: So you couldn't get peak load data on  
23 those either?

24           MR. SALAS: We would have to go under some  
25 estimation if we needed to, on a line by line section when

1 necessary.

2 MS. KERR: So if you had an interconnection  
3 request under the 15 percent screen, you would still have to  
4 estimate that data on those line sections?

5 MR. SALAS: Absolutely. In a line by line  
6 section, you have to do it and some are using different  
7 methods, different tools.

8 MS. KERR: Would those same tools for estimating  
9 peak load, could they be used to estimate minimum load?

10 MR. SALAS: Could be. But again, it would make  
11 it more complicated. But again, doing it on a line by line  
12 section during like a supplemental review process, where you  
13 have, the engineers have more time to determine what type of  
14 customers we have in the line section, you know.

15 We can look at some meters. We can, you know,  
16 look at some trends, whatever. Yeah, we could do it, but  
17 again on a project by project basis, line by line section,  
18 you could do it, but definitely not on 33,000 sections.

19 MS. KERR: Could you do -- you talked about doing  
20 that as part of a supplemental review process. Are you  
21 talking about a general supplemental review process like in  
22 the current pro form SGIP, or in the supplemental review  
23 process similar to the California Rule 21 process?

24 MR. SALAS: In California, we do both. In other  
25 words, you know, what we proposed under the Rule 21,

1 California Rule 21, it's the same screens that we utilize  
2 under our FERC jurisdictional tariff. In other words, the  
3 tariff allows us, it's general enough where it says if any  
4 of the ten screens fail, you can proceed to a supplemental  
5 review.

6 It doesn't really say the exact steps and so on  
7 and so forth, but we as engineers, we know what those steps  
8 are, and we implement those steps both under the FERC  
9 jurisdictional tariff, which are the same as what we would  
10 apply under the Rule 21 tariff.

11 MS. KERR: Okay. Just to clarify, so the  
12 proposed Rule 21 settlement, those are the steps you're  
13 talking about in the supplemental review screens? Okay.  
14 That's what you would use currently to do a supplemental  
15 review? Okay, thank you.

16 MR. SALAS: And again, that's the reason why we  
17 have the percentage, 78 percent of projects that pass fast  
18 track under the, in the non-transmission constrained areas.

19 I would say about 75 percent of those failed the  
20 initial 15 percent, but went into the supplemental review,  
21 in which we looked at the three additional, voltage  
22 regulation, safety and the three additional screens under  
23 this, that we would outline under Rule 21. That's how the  
24 percentages, it's much higher.

25 MS. KERR: Okay.



1           MR. SALAS: But to answer the original question,  
2 you know, 33,000 line sections we don't have line data for.  
3 We will have to install very large amount of equipment to  
4 be, and communication systems, to be able to collect the  
5 data.

6           Even once you had the data, again as I stated in  
7 my opening statement, you still have engineering staff that  
8 needs to look at that data, to analyze each line section.  
9 It's just an incredible amount of work, for really I don't  
10 believe that is really necessary for what's intended right  
11 now.

12           MS. KERR: Just one more question. If you did  
13 have to estimate either peak or minimum load, because it  
14 sounds like it's a similar process, about how much time does  
15 that add to the interconnection process?

16           MR. SALAS: Well, I think the time that we  
17 allotted in the Rule 21 reform already accounts for that.

18           MS. KERR: Okay.

19           MR. SALAS: So you know, I believe it's 15  
20 business days or something like that that we have the  
21 supplemental review, that we allow as the time to do that.

22           MS. KERR: Okay, okay. Okay, Ms. Nicole.

23           MS. NICOLE: So just to echo again, from my  
24 understanding, and this is just ballpark, because you're  
25 going to have, again, every system's different, every, you

1 know, section's different. You have different equipment  
2 that's, you know, some of it's newer. I mean folks have  
3 referenced Smart Grid and AMI. We all know that that's not  
4 a reality for every meter in the country.

5           So you have to bucket out different parts of the  
6 system, and just in your mind bucket out you're going to  
7 have different data availability for different types of  
8 situations. So just to kind of ballpark, from my  
9 understanding, you can get -- within SCADA systems, you can  
10 get min-max.

11           But you're going to get that more utilities have  
12 those type of data acquisition systems at the substation or  
13 transformer level, so it's upstream. So you have this kind  
14 of gap in knowledge, where folks will have, you know, you  
15 will understand minimum load, you know, over a year or so at  
16 the substation level for folks who have those systems, which  
17 is not everybody.

18           I would say, and folks can correct me if you  
19 think I'm wrong, but you know, around 50 percent or so.  
20 It's not every situation and everybody's different.  
21 However, once you have those types of measurement points,  
22 then you have to get into the specifics.

23           If you have certain types of equipment out there,  
24 for example if you have digital protective relays, those  
25 would be able to give you some sort of --they would ping

1 back some sort of, communicate some sort of information back  
2 to a data acquisition system, for example. But it would  
3 only be through a specific period. It would be like in an  
4 event or something. Then it would ping back that  
5 information.

6           So a lot of the, or cappings (ph), for example,  
7 and the newer ones could communicate back that type of  
8 information. Not every, you know, line section or line's  
9 going to have those types of equipment on there. So you  
10 just have to work with whatever's out there, whatever is in  
11 the planning to be built.

12           That being said, you know, over the next few  
13 years, as Tim was mentioning, folks have three, five, ten  
14 year plans for build-out, and so it's something that we  
15 should be thinking about in the future. You don't have that  
16 institutional planning capability for minimum load data  
17 versus peak load data. So it's just not something that  
18 folks have done historically.

19           MS. KERR: So on these build-outs, absent a  
20 regulatory requirement, is minimum load something that, you  
21 know, if you're upgrading your system or doing a Smart Grid  
22 program, is that something you would be looking for, looking  
23 to install equipment?

24           MS. NICOLE: I mean from my understanding, that's  
25 not -- what would be the purpose for needing it? You would

1 need it in case a PV developer wants it. You wouldn't  
2 necessarily need it for a planning purpose, because you're  
3 planning for capacity.

4 So you're, so folks aren't necessarily building  
5 down your system requirements.

6 MS. KERR: Okay, thank you. Mr. Steffel.

7 MR. STEFFEL: We have a number of feeders that  
8 they would maybe constitute the line section, in which case  
9 some of them have and some of them don't have, just like  
10 others have mentioned, that there's historical data.

11 There would probably be two sources of getting  
12 this demand-type data that you can roll up to line sections.  
13 One would be SCADA equipment that you actually put out on  
14 the feeder. Number two is if you have AMI and you can roll  
15 it up into feeder sections.

16 We have had AMI efforts in, I guess, two-thirds  
17 of our utility, and in the one area where we have the most  
18 solar, the Public Service Commission has not wanted to have  
19 AMI in that area. So in that area, it's kind of difficult  
20 to put that together by line section.

21 As Kristen mentioned, we don't have as much of a  
22 purpose to focus on minimum or peak. We're focused on  
23 meeting the peak load, and making sure that we've got proper  
24 voltage and we're meeting the, not overloading equipment and  
25 so on.

1           I think that in time, this type of data will be  
2 available. But I think it's kind of premature to try to  
3 request utilities to provide it. The problem is that in the  
4 discussions we had in New Jersey, where you know, this data  
5 was desired, the solar developers and so on really didn't  
6 want to pony up to the cost of collecting it and putting out  
7 the measurement data.

8           So somebody has to pay for this effort, and it's  
9 not an insignificant effort. As I said, putting out  
10 unscrubbed data and not taking into account all the other  
11 factors, doesn't make the data very useful.

12           So to get good data out there that can be  
13 actionable, there is a significant cost, and we've got to  
14 either bite the bullet and somebody has to pay for it, or  
15 you know, we have to say well, it's not worth the value at  
16 this point.

17           MS. KERR: Is there -- Mr. Fox mentioned the  
18 California reports that developers pay \$300 to receive. Is  
19 that some sort of mechanism that would work to pay for the  
20 data?

21           MR. STEFFEL: Not when it costs, you know, tens  
22 of thousands of dollars to pick up the data, on a circuit or  
23 a section.

24           MS. KERR: Okay. Mr. Roughan.

25           MR. ROUGHAN: Yeah. I mean there is no reason

1 for us to collect minimum load data at all today. It's not  
2 what we design our system around.

3 We design our system around providing reliable  
4 service to our customers, and be able to do that under  
5 circumstances where you've got outages, feeders, storms, you  
6 know, care accidents, squirrel incidences, etcetera. So  
7 that's -- it's all driven around that.

8 I did want to just clarify my comment about  
9 utilities have long term, three, five year plans, ten-year  
10 plans. That's only once the regulator has agreed that the  
11 cost versus the benefits of that deployment are right for  
12 that state.

13 Right now, we're still going through significant  
14 pilot efforts on Smart Grid. All the DOE funds that went  
15 out there, a lot of pilots. Everyone's waiting to show that  
16 the cost to make the system smart and advanced metering and  
17 the customer interaction is less than the benefits you'll  
18 derive.

19 That hasn't been proven out in all cases, where  
20 the regulators of the states realize that if they agree to a  
21 multi-tens of hundreds of millions of dollar effort, because  
22 this is a significant amount of work we'd be doing over  
23 time, they need to be comfortable that the benefits of that  
24 price tag are worth spending that money, because we're  
25 talking about a revolutionary change in what we're doing to

1 the utility distribution and transmission systems.

2 And again, they need to be very, very comfortable  
3 before they give us the green light to put in that five year  
4 plan or whatever it is, that the costs we've estimated are  
5 lower than the overall benefits. And until that's in place,  
6 there isn't a plan that's going to provide minimum load data  
7 for most of those line sections which we've been talking  
8 about.

9 MS. KERR: Okay, thank you. Thanh, do you have a  
10 question?

11 MR. LUONG: Yes. I just had a clarify question.  
12 You know, so far I heard that there's a lot of area that now  
13 have no peak load data or even minimum load data. What  
14 happen if a PV would like to connect to that area, not even  
15 a fast track, and then you had to perform a system impact  
16 study? What data do you use to perform the system impact  
17 study?

18 MR. SALAS: Is that question to me?

19 MR. LUONG: For anyone, you know, engineer, that  
20 you can provide a system impact study? I heard a lot that  
21 you had no information. So how do you perform the system  
22 impact study with no data?

23 MR. SALAS: Well, during the system impact study  
24 phase, we do have the time to look at, you know, again the  
25 information, the type of customers that we have, the load

1 profiles and so on.

2           So we're not saying that we don't have any data.  
3 We're saying that it's not available to just publish and  
4 click a button and say here's the minimum loads. So we know  
5 the customers; we know who are, which customers are on our  
6 circuits, what their load profile is, and we know the peaks,  
7 and we can probably do a good estimation on the minimums.  
8 That's what we use for study purposes.

9           But again, we do that on a project by project  
10 basis, when we have the time and the resources and the  
11 funding to be able to do such research.

12           MR. DAUTEL: I guess I have a little tweak on  
13 your last question, which is not why are they putting in  
14 minimum, or is it worth it to put in the minimum load  
15 collections?

16           But I assume there are times when They're putting  
17 in meters to do the peak load collections, and I would be a  
18 little surprised if the incremental cost to add minimum load  
19 connection to equipment that can already do peak load  
20 collection is significant.

21           I don't know if that's a question or a comment.  
22 Does anyone have any reaction?

23           MR. ROUGHAN: Well, I think you're right. Once  
24 you upgrade that substation, you put in the full metering  
25 suite of what you normally put in for a new substation.



1 You're right. You've got data. You've got plenty of  
2 information. Minimum, maximum, you've got all the data,  
3 when that substation is being upgraded.

4 That's at that substation. That's at that high  
5 level which Kristen is talking about. But there's still  
6 relatively few times when you're putting that peak load data  
7 at a line section, at a feeder that's out, equipment out on  
8 the circuit.

9 So yes. When we're upgrading the sub, you get it  
10 all. It's just when we're talking about the line section  
11 piece here, that's the challenging piece.

12 MR. DAUTEL: Right. I guess I'm primarily  
13 interested in how this applies to the line section. So  
14 you're saying they don't, they often don't have that  
15 equipment and there's no plans to put it in. But then I'm  
16 left assuming that they're doing mostly estimations today  
17 then. Would that change significantly if they started  
18 estimating minimum load data, I wonder?

19 MS. NICOLE: So yeah. I would say, I mean the 15  
20 percent idea came out of an estimation. 30 percent is an  
21 estimation. Whenever, I forget who mentioned it this  
22 morning, I think it was Mike Sheehan, talking about the SMUD  
23 example, where you're trying to close the gap between  
24 estimations and measurements.

25 So anytime you can reduce that uncertainty in

1 your estimations by improving your measurements, and like I  
2 said, there's a couple of different types of ways to  
3 validate those estimations with different measurements.

4           So you could do SCADA. If folks had a new  
5 substation with SCADA capability, you could potentially flip  
6 a switch or maybe it comes out of the box with all types of  
7 data. So it wouldn't necessarily be a huge burden in that  
8 instance. However, you're not going to find every utility  
9 with that type of system.

10           So you're going to have different scenarios  
11 within a utility, or you might have different utilities. My  
12 personal thought on this would be that it might  
13 disproportionately impact folks who, you know, are IRUs,  
14 versus a coop, versus a muni, the extent to which they are  
15 investing in sort of, you know, SCADA activities.

16           Then along the line section, you would have  
17 literally sort of a monitoring device that you'd have to  
18 install. So you would purchase the equipment, which would  
19 be essentially a few thousand dollars, depending on what  
20 voltage level you're at, and then you'd have to install it  
21 and maintain it.

22           And then to Steve's point again, it would be once  
23 you have that data in place, pulling it back, because again  
24 it's only a time stamp, right? So making sure that any data  
25 that you have is put into context of other things happening

1 out either, you know, below the transformer level or amongst  
2 different feeders.

3           So it's not that it's impossible; it's just  
4 again, it's a matter of how much time and how much cost  
5 potentially in the different types of ways that you could  
6 collect data, and then get a precision on exactly what data  
7 you're looking for, and then what's the value of that data  
8 at the end of the day.

9           What we're doing within EPRI with our CPUC  
10 project is trying to get away from this idea that you're  
11 really just looking at load data. You're looking at, you  
12 know, the type of circuit, how can you characterize  
13 different types of activities on the circuit, because you're  
14 going to have, you know, many different types of circuits  
15 out there.

16           So is there a way to take some of these unique  
17 characteristics and develop methodologies to understand  
18 certain types of behaviors, and then validate those to  
19 understand PV hosting capacity. So the idea would be to,  
20 instead of having one number, like a 15 percent number, it  
21 would be more of a customized percentage, or not percentage,  
22 but a customized penetration level.

23           So you know, one particular area might be three  
24 percent, one might be 50 percent. So that's kind of the  
25 direction that we're going in, is away from a one-size-fits-

1 all approach, with penetration and with maybe one data  
2 point, but moving more towards sort of an understanding that  
3 since you have so much diversity, how can you customize it  
4 or create some sort of methodology or platform that would  
5 again streamline the interconnection process. It just makes  
6 it easier, and frankly more accurate potentially, if we're  
7 successful.

8 MS. KERR: Is the idea to make a hosting capacity  
9 idea transparent? It sounds very individualized, so it  
10 might be difficult to describe?

11 MS. NICOLE: No. I mean we're -- no, it's  
12 extremely transparent. I mean the research that we're  
13 conducting, it's repeatable. I mean we're working with  
14 National Labs and with CPUC. So it's going to be, it's  
15 public research.

16 You know, the lack of transparency, in my  
17 opinion, is because it's complex. It's not because there's  
18 not information out there or forums where people are having  
19 a lot of conversations about how to best address these  
20 issues.

21 It's just that it really is a challenging  
22 problem, and you know, you talk on what's happening with PVs  
23 specifically, and you look at demand response and electric  
24 vehicles, and you try to take all of these challenges in  
25 context, and it's really not an easy challenge for

1 engineers.

2 MS. KERR: Okay. Michelle.

3 MS. DAVIS: This is just a follow-up question for  
4 Mr. Ray and Mr. Fox. You both mentioned the execution of  
5 non-disclosure agreements to keep minimum load data secure,  
6 and I was hoping you could expand upon the precise concerns  
7 associated with making that kind of data and presumably peak  
8 data available to generators, generation developers.

9 MR. RAY: I think in the past, what traditionally  
10 the developing world has heard, is that there is  
11 considerable concerns about putting such data out there in  
12 the public domain, where there are some security concerns.

13 So the revival to that argument has been that if  
14 certain developers who have projects in the utility queue,  
15 that has legitimate business reason to get that data, would  
16 utilities be willing to share some information under a non-  
17 disclosure agreement, where they don't feel that they have  
18 to put the data in a completely open public forum?

19 Only a handful of participants or stakeholders  
20 that really have a legitimate business reason to get such a  
21 data, should be able to get access to the data under NDA.  
22 Does that take that security concern from the table?

23 MS. KERR: Did anyone else -- I can't remember  
24 who else you wanted to ask that question of.

25 MS. DAVIS: Mr. Fox mentioned it.

1 MS. KERR: Okay. Mr. Fox.

2 MR. FOX: Sure, I agree with that answer. I  
3 think what IREC is proposing here is to provide information,  
4 not through a publicly-disclosed website that would make  
5 information about utility infrastructure generally  
6 available. California and Hawaii both do that currently.

7 That could certainly be helpful, and I think that  
8 those states have pursued that approach, because it helps  
9 facilitate achievement of their policy goals. They want DG  
10 to go into particular higher value locations, and providing  
11 a map that demonstrates or shows where those higher value  
12 locations are is helpful to achieving that goal.

13 What we're talking about here is providing  
14 information through a pre-application report, where  
15 information on a specific point of interconnection would be  
16 provided to a developer requesting that information, so  
17 there isn't that sort of public disclosure issue.

18 MS. KERR: And you've held your name tag up for a  
19 while. Did you have something else you were going to answer  
20 as well?

21 MR. FOX: I do. Thank you, Leslie. I think it's  
22 important to bring the discussion about metering and the  
23 gathering of information generally sort of back to the  
24 policy issue at hand here. You know, we appreciate that not  
25 all utilities have minimum load data on the majority of

1 their circuits.

2           So therefore providing that information today in  
3 a pre-application report would be challenging. As I  
4 mentioned, we think it's important that the pre-application  
5 report only require utilities to provide the information  
6 they have at hand.

7           However, I think it's important to stress that  
8 that does not mean that minimum load criteria cannot be  
9 incorporated into a supplemental review process. The reason  
10 is we want to avoid a chicken and egg problem, where the  
11 answer doesn't become "we don't have it, so we can't use it.  
12 But it's not needed, so we don't collect it."

13           Because that status quo gets us nowhere, and  
14 we'll never have this information. Roger talked about the  
15 supplemental review process in California, and how that  
16 works, and the fact that it gives utilities an additional 20  
17 business days, I believe it is, and \$2,500, so that they're  
18 compensated for the calculation or estimation of what the  
19 minimum load is.

20           You know, that is the approach that we would  
21 certainly endorse. Then as that happens, more data will be  
22 made available. I think, you know, there's an important  
23 point that shouldn't be overlooked here. Kristen, Steve,  
24 Tim, I think, all made the point that there's no reason to  
25 focus on minimum load data today.

1           As I mentioned earlier, incorporating minimum  
2 load criteria into the supplemental review process will give  
3 utilities a reason to collect this data, and as they collect  
4 it, they'll then be able to make it available through the  
5 pre-application report.

6           MS. KERR: All right, thank you. Mr. Steffel.

7           MR. STEFFEL: Just a quick comment. You had  
8 mentioned a little question on the hosting capacity, and we  
9 want to acknowledge EPRI's doing an excellent job on that.  
10 There's a few pages at the end of the handouts we gave that  
11 are the results of their hosting capacity on the rural  
12 feeder. So if you're interested, that has a little bit of  
13 their methodology in it.

14          MS. KERR: Okay, thank you. Mr. Salas.

15          MR. SALAS: Yeah. I wanted to comment back on  
16 Thanh's original question, I guess, as far as, you know, I  
17 guess his question was related to once you do a project, you  
18 know, what does it take to put additional equipment out  
19 there, to obtain the minimum load data?

20                 One thing that we have to keep in mind is that we  
21 are under a lot of pressure to ensure that we serve our  
22 customers, at a minimum amount, you know, of the cost,  
23 minimum of cost. So when we have overloaded systems, we try  
24 to do the minimum that we can, to be able to continue to  
25 serve our load reliably and safely, and maintain the systems



1 without becoming overloaded.

2           Putting additional equipment out there, and  
3 typically that basically what it means is if we have a  
4 circuit that's overloaded, we put a new breaker at the  
5 station, typically put a wire down to a specific area of a  
6 circuit, break up a circuit in half or something like that  
7 and call it good, right?

8           Putting additional equipment out there, that  
9 would require putting communication systems, putting more  
10 monitoring equipment. So even on those projects that are  
11 currently in the pipeline, now you're talking about  
12 increasing the cost of those projects.

13           Once you increase the cost of those projects, now  
14 you have to take the money away from other projects that are  
15 required to continue to serve the load.

16           So it's, you know, even on existing projects that  
17 are under the pipeline, just because they're new projects  
18 doesn't mean that you can put the equipment for monitoring  
19 the minimum loads out there, because that's going to be an  
20 incremental cost for which we don't have the money for to  
21 do.

22           MS. KERR: Okay, thank you. Mr. Adamson.

23           MR. ADAMSON: Yeah. I just want to make a quick  
24 comment on something Kristen said. She mentioned putting  
25 together kind of a customized load penetration thing, and

1 that sounds very appealing, something we would support.

2 But our near-term focus for this petition is 100  
3 percent of minimum daytime load screen, which the lab, you  
4 know, EPRI report lists in terms of short-term solutions,  
5 and there's a lot of, you know, more can be done. But we're  
6 trying to walk before we run here.

7 MS. KERR: Okay, thank you. Mr. Ray.

8 MR. RAY: Okay. So just one comment in terms of  
9 what we've all heard earlier, in terms of the fact that  
10 collecting load data is very expensive, it's time-consuming,  
11 it takes a lot of resources.

12 I guess given that there is a strong signal from  
13 the solar developing community that's going out, in terms of  
14 the genuine need for getting the minimum load, have we  
15 vetted enough or had a stakeholder initiative, especially in  
16 the high penetration areas, in terms of understanding what  
17 is the cost of such load data collection, and how much does  
18 load monitoring devices would cost.

19 Perhaps a middle ground or compromise would be to  
20 take a tiered approach, and install the load monitoring  
21 devices in the areas where traditionally interconnection  
22 requests are much higher than other areas.

23 Because utilities typically have a pretty good  
24 understanding of where our higher concentration of  
25 interconnection requests that are coming in, as opposed to

1 other areas, where developers are not that interested in  
2 building projects.

3           So could there be a tiered approach that could be  
4 adopted, in terms of leveling out the cost of such  
5 installations and getting the minimum load data to the solar  
6 community. So I think it's worth exploring into that world  
7 a little bit more, as opposed to being having a dismissive  
8 approach of saying that it costs too much money and there's  
9 just no need for such minimum load data. I think it  
10 requires more discussion.

11           MR. DAUTEL: And in fact, isn't the proposal to  
12 only require these on line sections with at least ten  
13 percent of minimum load, or I'm sorry, of peak load?

14           MR. ADAMSON: Yeah, that's the SEIA proposal, is  
15 that the obligation to collect minimum load data would kick  
16 in if a circuit line section, you know, hit ten percent of  
17 peak.

18           MR. DAUTEL: And do we have a sense for like, I  
19 know Roger you said that there's 38,000 line segments in  
20 SoCalEdison. Do you have any sense for how many of those  
21 would be impacted by a proposal like that? Or of the 5,000  
22 that are already monitored?

23           MR. SALAS: Yeah. I'll answer that coming from  
24 Bhaskar. Yeah, frankly I mean you're talking about 38,000  
25 line sections that we have.

1           I would say, gosh a rough guess, probably about  
2 95 percent of projects probably don't have, and that's just  
3 a rough number, don't have the ten percent that they're  
4 looking for, but yet they're requiring us to, or also be  
5 required to provide that data, even though it's not  
6 necessary.

7           Because with how many applications we have at  
8 SCE, probably 1,000, you know, or something like that, you  
9 know, maybe 1,100. But we have 33,000 line sections. So  
10 you know, it's just a very enormous amount of line sections  
11 for which data doesn't exist, and a lot of work needs to be  
12 done.

13           The other thing that I want to point out,  
14 according to Bhaskar, is that concentrating or getting the  
15 load data for these areas with higher amount of requests.  
16 Well, that's taking into account a FERC tariff and CPUC  
17 tariff.

18           We have about, I would say, about 75 percent of  
19 projects are in what we refer to as transmission-constrained  
20 area, where basically out in the desert, there's no load out  
21 there, and any amount of power you put into the distribution  
22 system is going to flow back to the transmission system, and  
23 creates problems with other projects already proposing to  
24 connect to the transmission system.

25           So putting that information in that area really,

1 it's not going to help, you know. So you know, if the  
2 proposal was to say well, just look at the areas of higher  
3 concentration, well that's the areas, that's the desert,  
4 okay.

5 So really even if you had the data it doesn't  
6 help you, because you have to go through the study process,  
7 because you have to be combined with the rest of the  
8 projects that are connecting to the 66 kV system, the 115 kV  
9 system, and those that are under CAL ISO control.

10 So you have to put them all together to be able  
11 to study them together. So really you don't, that's really  
12 the worst location you want to put them in.

13 MS. KERR: So are those locations, I don't think  
14 we've talked about it yet in this panel, but earlier today  
15 we talked about the maps that the California utilities have  
16 to put out, in addition to the reports, in the Rule 21  
17 settlement. Would that kind of location show up on the  
18 maps?

19 MR. SALAS: Absolutely. We definitely on the  
20 maps we have, there are various levels, and we basically  
21 said oh, this area here, it's a transmission-constrained  
22 area. Do not, well you know, be aware when you propose  
23 projects in this area, because they're going to have to go  
24 through a study process.

25 We provide information as to where our load

1 centers, where is there's no transmission problems, and we  
2 have, you know, maps that show whether you can, you know,  
3 those circuits that have high amount of -- high loads and  
4 low generation.

5           So that if you see a green circuit, that means  
6 that this project can potentially pass the fast track. But  
7 a minimum, if you were to use the maps to say don't, stay  
8 away from the transmission-constrained areas. So be aware  
9 that there's a transmission problem here. If you stay away  
10 from those, your minimum can go through the ISG study  
11 process, and still interconnect with them.

12           MS. KERR: So in putting together those maps,  
13 even that even the peak load data, it sounds like not always  
14 available by line section, are you using substation data or  
15 --

16           MR. SALAS: Transmission system data.

17           MS. KERR: Transmission system data?

18           MR. SALAS: Yeah. I mean basically it's all the  
19 generation that's being proposed in the distribution,  
20 subtransmission and transmission system, and then  
21 determining that there's already, you know, 115 or 220 kV  
22 problems out there, where lines need to be upgraded.

23           So knowing how long it takes to do those type of  
24 projects, really putting additional projects on the  
25 distribution system is problematic. So we don't -- on that

1 level, we don't even use the distribution level. We use the  
2 transmission level.

3 MS. KERR: Okay. Okay, thank you.

4 MR. LUONG: I'd just like to clarify one more  
5 thing. So you mean that it's a transmission constraint on a  
6 transmission system, not on a distribution level?

7 MR. SALAS: It's both, but you know, typically,  
8 distribution issues can be resolved quickly. So if you're  
9 putting projects in a distribution, where there's no  
10 transmission problems, you'll be able to find the problems,  
11 you'll be able to mitigate them. You can go through the  
12 independent study process and still interconnect, you know,  
13 quickly.

14 But in those areas that have transmission  
15 problems, it's just -- you really have to be studied  
16 together with all the other projects. It wouldn't be fair,  
17 you know, to put 30 megawatts of 1.5 or 2 megawatt generator  
18 projects, and allow them to interconnect, while you have the  
19 other transmission projects being held back. So you know,  
20 that's really where the problem is.

21 MS. KERR: Okay, Mr. Ray.

22 MR. RAY: Yes. Just a quick comment on that  
23 whole question about the transmission, you know, becoming a  
24 global issue. It is true, we all understand the fact that,  
25 you know, when you've got a transmission level constraint,

1 that that impacts every little generator that's going into  
2 that cluster.

3 But the reality of the fact is, I'll just use  
4 Edison as an example, is there are several transmission  
5 projects committed, because there are other large-scale  
6 solar projects going into the transmission level that has  
7 triggered those congestion, and they're being addressed by  
8 building transmission to open up those bottlenecks.

9 The reality of the fact is because FERC's plan  
10 approval is in place, and several transmission projects have  
11 been undertaken, I think we need to decouple those issues  
12 and take a look at the distribution system at some point,  
13 because those transmission bottlenecks are being addressed  
14 and they are going to be resolved, because several projects  
15 are already under construction.

16 So I think that may be the case very well today.  
17 But in the near future, those transmission bottlenecks, when  
18 they go away, we're still stuck with this whole distribution  
19 level, 15 percent minimum load screen issues, because the  
20 transmission projects are going in, and billions of dollars  
21 are being invested under FERC plan approval, to take care of  
22 those issues, because they are more pressing.

23 MS. KERR: Mr. Salas, do you have a reply?

24 MR. SALAS: Yeah, definitely. Yeah definitely.  
25 We're not saying that those projects cannot interconnect,



1 okay. We're saying that those projects are going to fail,  
2 specifically fast tracks screens number nine and ten.

3           So they are not -- we're not talking about  
4 whether or not those projects interconnect. We're talking  
5 about those projects have to go through further studies,  
6 because they're failing -- they're not failing the 15  
7 percent screen. At that point, it becomes almost  
8 irrelevant, you know.

9           It's a factor in the distribution, but you're  
10 going to fail nine and ten, and no matter what, you have to  
11 go through a study process.

12           MS. KERR: Okay. We just have a few minutes  
13 left, and I have at least one more question. But Mr.  
14 Adamson, did you have a comment?

15           MR. ADAMSON: Yes. I mean it's quite clear that,  
16 you know, minimum load data is just not available from a lot  
17 of utilities, and that's going to change over time.

18           We don't know how quickly. But I think what the  
19 issue is here is Order 2006 was essentially the 15 percent  
20 threshold, a way of estimating minimum load, and it's one  
21 that's turned out to be overly-conservative and turned out  
22 to be a market barrier to solar in the current environment.

23           What we're asking you to do with SEIA is to adopt  
24 a new and improved way of estimating minimum load, either  
25 providing for minimum load data or estimating. It's very

1 clear from the panel that there's going to be a lot of  
2 estimating. It's something utilities have done, even for  
3 peak load where they don't have it.

4           So you know, I hope that everybody goes ahead and  
5 gets minimum load data available right away. Realistically,  
6 it's going to evolve. But what everybody can do today is  
7 they can do a much better job of estimating minimum load on  
8 a circuit than they did under the 15 percent rule.

9           MS. KERR: That leads me to my next question,  
10 which is what are the current concerns associated with  
11 estimating minimum load, to the extent we haven't talked  
12 about them already, and what can we do or what can utilities  
13 do to alleviate those concerns? Mr. Roughan.

14           MR. ROUGHAN: Yeah. There's two parts to that.  
15 I think Roger, you know, hit the nail on the head in terms  
16 of when you really get into looking at minimum load, if you  
17 don't have the raw data. You've got to do an extensive  
18 review of the customer population, you know, the fusing, the  
19 reclosers, all what you've sized things over time.

20           I think the dilemma with that is estimating  
21 minimum load in order to meet a very quick fast track time  
22 frame becomes very difficult in those short time lines,  
23 because we also have to recognize as we move forward to get  
24 actual minimum load data, those decisions are made by every  
25 state regulatory body to approve those investments or not.

1           We just need to recognize that from that  
2 perspective, it's going to happen over time, but it will end  
3 up being, you know, that particular state that authorized  
4 that particular distribution, getting utility approval to  
5 spend money in this way or that way, right?

6           That's where, that's how you're going to fund it,  
7 if the solar development community isn't going to fund it.  
8 So that's where we have to really understand it will happen.  
9 So estimating minimum load is still, and as Kevin said, I  
10 think clearly when you have the pre-application report,  
11 because we do those as well in the northeast, which are very  
12 effective, you can provide it.

13           If you don't have it, and they roll into the  
14 other studies, then you can go ahead and try to get it,  
15 because we do come up with -- we do estimate the minimum  
16 load when we're doing the impact study, so we can understand  
17 do we need to be careful of islanding and that sort of  
18 thing.

19           MS. KERR: Ms. Nicole.

20           MS. NICOLE: So I would just make the point that  
21 we are talking about minimum daytime. So that's kind of the  
22 context of the conversation that we're talking about, and  
23 also not get away from the idea that it's also in the  
24 context of line segment versus circuit or feeder level or  
25 transformer level.

1           You know, it seems -- from my understanding, it  
2 seems that the minimum load data is available at, you know,  
3 for folks who have SCADA systems or other sort of digital  
4 applications. They can easily get that data. So it's not  
5 necessarily that that's a prohibition to moving forward.

6           However, what I like to think about is kind of  
7 the difference between when we mentioned daytime minimum  
8 load in the paper, it's kind of in your mind separating out  
9 the difference between the interconnection screen and a  
10 short-term solution for improving the screening process,  
11 versus solutions for integration of solar.

12           It's two, in my mind, it's two very different  
13 topics. So right now the 15 percent is an estimation, and  
14 so can we improve upon that with, you know, as Mike Sheehan  
15 said, with validation of measurements in the field, or more  
16 transparency on data that's already being collected, or  
17 potentially collecting more data?

18           I think those are all potential options, but they  
19 should be focused on the conversation of addressing the  
20 problem of the accuracy or, you know, usefulness of that  
21 particular fast track screen.

22           When you talk about integration of solar, you  
23 know, which we do every day at EPRI, it's a matter of  
24 understanding the complexity of the system, and frankly what  
25 we're looking at is it's not so much a load data or

1 megawatt, PV megawatt data.

2           You're looking at a host of different  
3 characteristics and the interaction of those  
4 characteristics, how load changes over time or what  
5 estimates you're making, what data you have available.

6           So what we would like to do is get away from sort  
7 of 15 percent or 30 percent or 100 percent, and try to talk  
8 more broadly about what we can do on the integration side.  
9 That would then sort of feed some of the interconnection  
10 policies, in a way that everybody's happy with.

11           MS. KERR: And Mr. Fox.

12           MR. FOX: Thank you, Leslie. I just want to take  
13 a moment to echo what Tim said, because I think he really  
14 kind of got at the nut of the issue here. The issue really  
15 in my mind is how long does it take to estimate the minimum  
16 load.

17           I haven't really heard anybody speak forcefully  
18 against relevant, minimum load being a relevant criteria in  
19 the interconnection process. Roger talked about the fact  
20 that if they were doing an interconnection study, a system  
21 impact study, they would take a look at minimum load, and  
22 they would have additional time, and certainly, you know,  
23 the additional funding through interconnection study costs,  
24 to be able to take a look at minimum load.

25           I think the issue really here with the

1 supplemental review is, because the supplemental review I  
2 think this got lost a little bit earlier on the first panel,  
3 is you know, the initial review screens are kind of a thumbs  
4 up/thumbs down sort of approach.

5           What California did with supplemental review  
6 really operates very differently. It allows a lot more  
7 engineering discretion and judgment to be involved with the  
8 application of reliability, safety, power quality screens.  
9 Also, one of those considerations, then, is minimum load  
10 criteria.

11           So to the extent that is a relevant consideration  
12 in the process, in California it was felt that the exercise  
13 of the engineering judgment around reliability, power  
14 quality and safety sort of issues could be coupled with the  
15 calculation or estimation of the minimum load, so you could  
16 do a sort of quick, second look for systems that failed  
17 initial review, and say within 20 business days and with a  
18 \$2,500 fee, yes, this system can pass without additional  
19 study, or no, it needs additional study.

20           But there's a fair amount of discretion there to  
21 apply engineering judgment, so we can avoid the sort of, you  
22 know, bad case scenarios that a lot of people brought up on  
23 the first panel. You know, I've talked to a number of  
24 utilities about this, and a number of them have echoed the  
25 belief that they don't necessarily want every single project

1 to go to study either.

2                   So I think really at the core, what we're talking  
3 about here is is there some subset of projects that may fail  
4 the initial review screens, that don't necessarily require  
5 full study? Because if there is, then it makes sense for  
6 everybody involved to pull those out, and create a process  
7 that allows them to be addressed quickly, and at a  
8 reasonable cost, without a full study being required.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 MS. KERR: Well with that, we're going to end  
2 this panel. Thank you very much for a good discussion, and  
3 we will be back in 15 minutes. Again, for folks who are  
4 leaving, I would just like to remind you that we are taking  
5 written comments for 30 days on the issues brought up in  
6 this technical conference. Thank you.

7 (Whereupon, a recess was taken.)

8 MS. KERR: All right, welcome back to the last  
9 panel. Our last panel of the day is on the "Review of  
10 Upgrades" required for interconnection.

11 Our panelists include Jim Torpey from SunPower  
12 Corporation, on behalf of SEIA; Rick Gilliam from The Vote  
13 Solar Initiative; Dan Adamson from SEIA; Roger Salas from  
14 Southern California Edison; and Steve Steffel from Atlantic  
15 City Electric; and Steven Herling from PJM.

16 I would like to invite our first panelist, Jim  
17 Torpey, to give his opening statement.

18 MR. TORPEY: Thank you, Leslie, and thanks to  
19 FERC staff for convening this discussion on barriers to  
20 interconnecting solar and distributed generation.

21 My name is Jim Torpey. I am the Director of  
22 Market Development at SunPower. SunPower is a manufacturer  
23 and developer of solar-based projects in California, our  
24 headquarters in California.

25 A couple of things that are relevant. For one, I



1 have worked for 20 years of my career for a public utility,  
2 and I will just say that I really respect all the things,  
3 and the difficulties and the problems that you've heard  
4 about today. And I also have seen the tremendous ingenuity  
5 and ability to solve problems at the same utility  
6 engineering groups, and I am sure that a lot of these things  
7 that we've talked about as we work together can be solved.

8 SunPower has either interconnected or is in the  
9 process of interconnecting about 1200 megawatts. So we do  
10 have some experience and some of the things that I'll be  
11 talking about are based on that experience.

12 We've heard today appeals to work together with  
13 utilities to improve interconnection and reduce costs, and  
14 we are certainly very interested in doing that. And I think  
15 what I am going to talk about and what we'll talk about on  
16 this panel is at least our attempt to start to work that  
17 out, work out one process for how to do that.

18 Reducing costs is very important to us, both from  
19 the standpoint of reducing time and effort that the  
20 utilities have to do in order to review interconnection  
21 requests, and then also in terms of the time and money costs  
22 of interconnecting and making sure that those are  
23 appropriate for meeting the needs of the grid.

24 I think one of the things, when somebody asked on  
25 an earlier panel what are some of the costs involved in

1 these interconnection studies, the thing that is really  
2 important to understand from the aspect of solar development  
3 is time is money. And it's something that if you put a  
4 project into what we consider to be sort of a black hole of  
5 an interconnection request and don't know when it's going to  
6 come out, an answer, or how much that is going to cost, it  
7 is really something that makes a project very difficult to  
8 finance. And you're basically really making that project a  
9 lot more, not only difficult to finance but more expensive.

10           And so I think it is in everyone's interest to  
11 try to make that process work a lot better.

12           What we are seeing is that there is little  
13 transparency--and this is again from the perspective of a  
14 solar developer. We are seeing little transparency  
15 regarding each public utility and/or transmission owner's  
16 technical requirements for interconnection.

17           In practice, each is different and each may  
18 change over time. From our perspective again, once we  
19 submit a project oftentimes it seems like it falls into a  
20 black hole. You don't know what's happening. You don't  
21 know where it's going. You don't know how much it's going  
22 to cost.

23           And what happens is that we also see sometimes  
24 some of the requirements appear arbitrary and  
25 discriminatory, and that individual developers are sometimes

1 asked to take on costs for technical solutions that appear  
2 to be either excessive or unnecessary as related to a  
3 specific project.

4 I think later in the panel Rick may give you some  
5 more specific examples about that. But in any case, there's  
6 really no effective process in place today for adjudicating  
7 these disputes concerning reasonable and alternative  
8 solutions for maintaining distribution reliability and  
9 safety.

10 And again, it is not our intention to get around  
11 anything that has a safety or a reliability impact. But  
12 sometimes there are different alternative solutions and ways  
13 to do it a lot better than--or at least from our opinion,  
14 there should be some process for figuring that out.

15 So what we are really talking about is presenting  
16 an approach that's an improvement to transparency and also  
17 to process.

18 So the first step one, we need to know what the  
19 process is for each utility. And sometimes you've heard a  
20 lot from the utilities today, but not every utility is as  
21 completely upfront and able to work as well as some of the  
22 utilities you've heard today. So we are really talking  
23 about a process that is required across the board in many  
24 cases.

25 We are really looking to require utilities to

1 publish what their requirements for such items as voltage  
2 control standards, when a transfer trip is required, et  
3 cetera, et cetera, a lot of technical requirements.  
4 Sometimes we don't even know what they are until after the  
5 fact. We would like to see those up front. As well as a  
6 time frame for which they say we can develop a project under  
7 X amount of time, and these are the time frames. And then  
8 we should have the right to challenge those if they are  
9 unreasonable.

10           The second thing is to define what some  
11 alternatives are in case there is a dispute over what the  
12 best solution is. So cases where the developer believes  
13 that proposed upgrade requirements are unreasonable and not  
14 supported by the facts, developers should have the right to  
15 commission at their own expense a professional engineering  
16 report outlining alternative solutions to identified issues.

17           And then we can go through a process--this is one  
18 process that we're suggesting, but we're not saying this has  
19 to be prescriptive. But in any case, a utility could either  
20 accept the developer's report, or they could say, no, we  
21 don't really accept your report. And so what we would do is  
22 go to a third party.

23           You'd have an independent third party who would  
24 then look to present the facts, by reviewing both the  
25 utility report and also the report of the individual

1 developer, and then come up with an opinion. That opinion  
2 would then be--although the final decision would remain with  
3 the public utility, the utility will be expected to give  
4 substantial weight to the findings and recommendation of the  
5 third party expert when making its final interconnection  
6 decision.

7           In the event the utility does not accept the  
8 expert findings and recommendations, it must provide the  
9 applicant a fulsome explanation of the factual basis for not  
10 accepting the third-party recommendation.

11           I know there was a question about whether it  
12 would be a viable alternative to have a comment section, as  
13 is done in the large generator interconnection procedure.  
14 In conversations with developers familiar with the practices  
15 of public utilities and the LGIP procedures, the general  
16 consensus is that the opportunity to provide comments is  
17 somewhat perfunctory because the public utility is under no  
18 obligation to seriously consider the alternatives being  
19 presented by the developer's engineering consultant.

20           By adding an objective third-party expert's  
21 input, the expectation is that there will be a higher  
22 standard established for considering and incorporating the  
23 objective engineering input.

24           Thank you, very much.

25           MS. KERR: Thank you, Mr. Torpey. And now let me

1 move to Mr. Gilliam.

2 MR. GILLIAM: Thank you, Leslie.

3 My name is Rick Gilliam. Just by way of  
4 background, I spent a number of years here on the FERC  
5 staff, actually, at the start of my career. I worked for a  
6 utility for a dozen years. And then went to work for a  
7 competitor of Jim's here, SunEdison, and worked there for a  
8 number of years. And now I'm with Vote Solar.

9 Vote Solar is a nonprofit 501(c)(3) organization  
10 that advocates for positive solar policies to bring solar  
11 into the mainstream across the United States.

12 I appreciate the opportunity to speak today, and  
13 the comments I have will address the interconnection  
14 standards first established as part of Order 2006.

15 As you know, these have been used by many states  
16 as a model to develop similar interconnection standards for  
17 connections of small generation to the distribution grid.  
18 As such, these rules have set effectively a minimum  
19 standards for SGIP on the distribution grids.

20 As we have heard earlier today, the lack of  
21 consistency, the costly and lengthy process, is a problem  
22 for solar developers. Our goal in making these comments  
23 today is to help promote a clear and predictable path to  
24 interconnection for distributed generation.

25 In my experience, for projects that do not pass

1 the Fast Track screens, utility facility studies have found  
2 a diverse set of assets and costs required for the  
3 interconnection. In addition to expected and quite normal  
4 costs such as reconductoring, transformer upgrades, and so  
5 forth, upgrade requirements have been imposed that include  
6 exorbitant and sometimes surprising costs of things like  
7 extensive telemetry equipment, life-of-asset O&M costs as  
8 part of the upgrade, and income taxes included in these  
9 estimates.

10           It's not at all clear that the assets identified  
11 in these upgrade requirements are the minimum required to  
12 resolve the concerns and inclusions of the system impact  
13 study. And we all need to remember that these costs, one  
14 way or another, ultimately will be paid for by the utility  
15 ratepayer.

16           Additionally, some transmission providers--and I  
17 use that interchangeably with IOUs--have played a type of  
18 Price Is Right game with the feasibility study in which a  
19 quick turnaround is offered if the developer accepts a  
20 facility's estimate with little supporting documentation or,  
21 Door Number Two, wait longer for the unknown system impact  
22 and facility studies which may result in higher costs.

23           While such an offer may be made in full good  
24 faith, it offers the potential for gaming, particularly when  
25 solar developers operating in a highly competitive

1 marketplace are anxious to move projects along as quickly as  
2 is feasible.

3           This risk is compounded by the serious  
4 information imbalance between the utility and the project  
5 developer. The developer has little upon which to base an  
6 informed decision. The preapplication report that's been  
7 discussed several times earlier today in Rule 21 we think is  
8 a good step forward in that regard.

9           Overall, in our view there's insufficient  
10 transparency and accountability in the interconnection  
11 standards. Order 2006 did provide for some relief in  
12 Section 3.5.4, but unfortunately the wording of the section  
13 leaves the utility as the party with the ultimate  
14 decisionmaking authority. And as Jim said, it provides  
15 little motivation for the developer to challenge those  
16 findings if there isn't an opportunity for either a third-  
17 party review or ultimately an arbiter such as a public  
18 utility commission.

19           The supplemental notice that the FERC issued  
20 asked for us to address a few additional questions. So just  
21 to cut to the chase:

22           In our view, an independent third-party review of  
23 upgrade requirements would help generation developers to  
24 have confidence in the determination of upgrade  
25 requirements, but only if there's an opportunity for



1 backstop regulatory oversight.

2           It is unclear whether the written comments  
3 contemplated in the second question, the LGIP, would be made  
4 to the transmission provider or to a regulatory body. If  
5 it's to the transmission provider, I agree with Jim that  
6 there is not much motivation on behalf of the developer to  
7 follow that path if the transmission provider is the  
8 ultimate decision maker.

9           Indeed, we believe the feasibility study itself  
10 should be subject to the same opportunity for third-party  
11 review of potential adverse system impacts with a right to  
12 appeal to the regulatory body as the final arbiter.

13           You asked for some down sides. I can get into  
14 that in a few moments. The cost of engaging a credible  
15 engineering firm to review potential system impacts and  
16 upgrade requirements could be a challenge, in that the firms  
17 that are out there often are retained by utilities for work,  
18 and there may be a conflict of interest.

19           And the size of the projects that generation  
20 developers in the solar space typically do are considerably  
21 smaller than other opportunities that utilities may be able  
22 to offer engineering firms. So there may be some reluctance  
23 on the part of such firms to engage in that process.

24           Having said that, we think it is still important  
25 to have that opportunity to engage a third party.

1           Finally, I would like to ask the FERC to continue  
2 its original plan to review these interconnection standards  
3 on a periodic basis so that we can stay current with the  
4 fast-changing technologies.

5           Thank you.

6           MS. KERR: Thank you. And Mr. Adamson.

7           MR. ADAMSON: Thanks. So we're talking upgrades.  
8 I think it's good to at least spend some time on it, because  
9 we have spent so much time on minimum load and Fast Track--  
10 which not to discount that; I think they're very  
11 important--but this upgrade issue is important.

12           Let me just stipulate up front that,  
13 notwithstanding the various anecdotes that we've brought to  
14 your attention, that I think the recommendations that  
15 utility engineers make on these sort of upgrades are  
16 offered, you know, based on their expertise, and they're  
17 offered in good faith. I think they're trying to do their  
18 job, which is not an easy job, and part of it is keeping the  
19 lights on.

20           But I will also stipulate that utilities are not  
21 infallible. They have not discovered truth. And so  
22 sometimes they make a mistake in terms of an excessive  
23 upgrade requirement. And I think it's really expecting a  
24 lot of the utility to be an impartial arbiter over a  
25 situation where its own self-interest is at stake. And this

1 is a familiar situation for FERC, obviously, you know, in  
2 your quest to have J&R transmission access.

3           So I mean there is a little bit of a conflict of  
4 interest. You know, generally the unit to be interconnected  
5 is competing against a utility in the wholesale market. And  
6 I also think, you know, having also done a lot of work for  
7 utilities and spent time with utility clients in a prior  
8 life, you know, the addition of DG to a circuit does make a  
9 utility system engineer's life more complicated. You know,  
10 that's just a fact.

11           And so it's hard for the utilities to always come  
12 up with what we would view as a reasonable and cost-  
13 effective upgrade solution. And so we think the remedy is  
14 to bring in a third party, and SEIA's petition proposes that  
15 at the request and cost of the applicant, that a third-party  
16 expert reviewer would be brought in; but that the utility  
17 would still, as it must be, be the final decision maker. I  
18 feel that very strongly that, you know, utilities are  
19 accountable for reliability. And so in the end it is their  
20 decision. But, that they would be required to give due  
21 weight to the report of the independent expert.

22           And I think just bringing in somebody who is  
23 impartial, or at least a third-party expert, could really  
24 help solve this problem. You know, SEIA is not wedded to a  
25 particular process, but we are wedded to the notion of

1 third-party review and some type of orderly process.

2 Because the upgrade issue is right up there with Fast Track  
3 in terms of the concerns that our members have.

4 And that's all. I'll finish up in three minutes  
5 on that one.

6 MS. KERR: All right. And Mr. Salas.

7 MR. SALAS: I would like to again thank the  
8 Commission for the opportunity to participate in today's  
9 conference, and to offer SCE's perspective on SEIA's  
10 proposal that the SGIP be modified to provide for a third-  
11 party expert review of upgrades identified as a requirement  
12 for an interconnection.

13 SEIA's proposal requires transmission owners such  
14 as SEC to give substantial weight to third-party experts'  
15 findings and recommendations for the identified upgrades and  
16 to provide a fulsome explanation of the factual basis for  
17 rejecting the expert's recommendations.

18 It is SCE's position that qualified third-party  
19 experts can provide meaningful input during the  
20 interconnection process. That being said, we respectfully  
21 oppose SEIA's proposal because it will not facilitate  
22 meaningful dialogue between the utility and the third-party  
23 expert, but will instead likely create additional delays and  
24 disputes during the interconnection process.

25 During my prior panel discussion, I explained

1 that the SGIP is working as intended in SCE's service  
2 territory in that it has not unduly discriminated against  
3 solar developers. What I would like to expand on upon here  
4 is how the current SGIP already allows for meaningful  
5 dialogue between the utility and the interconnection  
6 customer with respect to upgrade requirements.

7           As indicated previously, we have studied nearly  
8 600 interconnection requests in the last three years under  
9 the SGIP. In our experience, the process works well--but  
10 only when the third-party expert is familiar with typical  
11 distribution system standards and practices.

12           Under the current process, applicants are  
13 encouraged to bring, and often do bring, engineering experts  
14 to the study results' meetings to discuss the upgrade  
15 requirements that SCE identified during the study process.  
16 During these meetings, we sometimes hear suggestions  
17 regarding modifications to proposed distribution system  
18 upgrades.

19           We are not averse to implementing the suggestions  
20 as long as the proposed changes meet SCE standards in terms  
21 of design, construction, operation, and maintenance, as  
22 those standards have been reviewed and approved by SCE  
23 experts in these respective areas.

24           This is crucial as distribution upgrades and  
25 interconnection considerations must comply with our

1 company's standards to ensure safe and reliable operation of  
2 our system for our employees and customers.

3 Nonstandard equipment design or construction may  
4 make hazardous safety conditions, problems operating the  
5 system, or longer delay times during a service restoration  
6 during an emergency.

7 We explain our comments on SEIA's proposal that  
8 we believe that an outside expert can provide a meaningful  
9 input during the interconnection process, provided that the  
10 expert is familiar with our distribution system, and in fact  
11 we have had instances where applicants' expert engineers  
12 were familiar with our systems and they suggested  
13 appropriate changes that actually did reduce their costs  
14 significantly.

15 We also believe that the applicant who hires such  
16 experts will benefit from involving the expert at the start  
17 of the application process, as opposed to waiting until  
18 after the studies have been completed and the resources have  
19 been already submitted--provided to the applicant.

20 Waiting until the studies are provided will only  
21 serve to further delay the process and potentially increase  
22 the cost to the applicant.

23 In conclusion, we respectfully submit that the  
24 SCIP works well for all applicants who take the time to hire  
25 a third-party expert that is familiar with the distribution

1 system standards and practices. We hope that the  
2 perspective that we have provided here today is helpful to  
3 the Commission and some of the participants and we look  
4 forward to further discussion.

5 That's it.

6 MS. KERR: Thank you. Mr. Steffel.

7 MR. STEFFEL: Thank you. Steve Steffel  
8 representing PEPCO Holdings, Inc., and the three utilities  
9 we have, Atlantic City Electric, Delmarva Power & Light, and  
10 PEPCO.

11 The first thing I wanted to mention, just to  
12 start with studies and the upgrades, looking back in 2011 we  
13 had about 1700 applications, 76 megawatts added to the  
14 system, and there were about 35 studies.

15 Of the 35 studies, a number of them did not  
16 proceed to build. So you can see that with that small  
17 framework there's not tons of projects that needed upgrades,  
18 but of those 35.

19 The first thing we think about is process. We  
20 mentioned that. We've had public forums that would explain  
21 to developers the process both on the NEM side and the  
22 wholesale side. And on the wholesale side, they run through  
23 our ISO, PJM, and Steve Herling will probably touch on some  
24 of that. It's a very structured process, including review,  
25 reviewing the transmission impacts and so on and so forth.

1           And we follow that very carefully. We are in a  
2 sense sub to them. They are the project manager on those  
3 wholesale projects.

4           The next thing that is important that was  
5 mentioned is criteria. And it is true, we have had to  
6 develop a lot of criteria for DERs being added into the  
7 system. And anything that has been--or is geared to the  
8 understanding of the developer, we have put into our public  
9 documents. We have some interconnection documents that are  
10 on websites. And they're updated yearly, every couple of  
11 years. And so we probably have some more things that we've  
12 put in.

13           We actually are putting them right in the  
14 studies, some of the very salient points, so that they  
15 understand what our criteria is and why we would require an  
16 upgrade, and so on. And these are very valid points and  
17 we're trying to address those kinds of things right up front  
18 so we don't run into issues there.

19           Currently we've done most of our studies with  
20 third parties. And we do make those studies available when  
21 they're finished to any developer that wishes to have them,  
22 all practically 50 pages of them or so. And we've set down  
23 and discussed with all of the projects that have needed  
24 upgrades, and we haven't had any that have required, you  
25 know, review by a third party yet. I mean, I understand



1 some of the concerns. But we've been able to work through  
2 that.

3 One of the things we're working on in-house, and  
4 we've mentioned it, is that we are working on our own time  
5 series load flow program with an automated study tool so we  
6 can save developers both time and cost. And I think that  
7 will be a significant benefit to them.

8 Now some concerns with third-party reviews. Each  
9 utility has its own planning and operating criteria and  
10 construction standards based on national and state  
11 standards, and best industry practices. And a third party,  
12 whoever is reviewing the results of a study, would need to  
13 follow those when assessing the recommended upgrades that  
14 were put together as a result of the results of the study.

15 Now it's going to add time and cost to studies.  
16 There will be added effort by the utility to explain the  
17 study results, study criteria, construction standards, et  
18 cetera, and to provide the needed information for the third-  
19 party to do the review.

20 We haven't had to have that to this point. We've  
21 had good discussions, and talked with our developers who are  
22 putting things in, and anything that they suggested, if we  
23 could accommodate them, or if there were options, we made  
24 those available.

25 But the main thing was to build the system to the

1 standards and criteria that we had laid out as a utility.  
2 And we do that whether it's an internal project or an  
3 external project. We don't build them differently.

4 So my only concern would be it does add time. It  
5 does add cost. All those things have to be explained. And  
6 it does open up the possibility for some maybe contention,  
7 or whatever, but I don't see it as a major issue because we  
8 haven't had too many--haven't had any issues of that nature  
9 up to this point.

10 MS. KERR: Okay. Thank you. And Mr. Herling.

11 MR. HERLING: Good afternoon.

12 My comments are related to the projects as they  
13 proceed through our interconnection process, specifically to  
14 participate in either the PJM energy market or the capacity  
15 market, or both for that matter. This is a relatively small  
16 slice of the projects that are connecting in PJM. We have a  
17 lot--a very large number of net energy metering projects, in  
18 the thousands, or tens of thousands that PJM does not get  
19 involved in. We have processed about 600 projects through  
20 our interconnection queue.

21 At this point I think we have about 3,100  
22 megawatts that are either in service or are currently under  
23 construction. So from a megawatt perspective, it's a fairly  
24 large number. But from a project perspective, I think in  
25 New Jersey alone we have had 14,000 requests under net

1 energy metering, and in all of PJM we've only had about 600  
2 requests to get into our markets.

3           Now procedurally we use the same process that we  
4 use for large generators: feasibility study, system impact  
5 study, facilities study, and ultimately execution of a  
6 Wholesale Market Participant Agreement, or an  
7 Interconnection Service Agreement.

8           The difference really is we have screening tools  
9 that we use to determine whether or not there will be  
10 network impacts that need to be considered--meaning higher  
11 voltage, 100 kV and above impacts.

12           The solar projects that we look at are typically  
13 in the range of about a half a megawatt up to 20 megawatts.  
14 So by and large we have seen very few impacts on the higher  
15 voltage transmission, and when that is the case we then move  
16 the project to the transmission owner for a look at the  
17 distribution and the subtransmission voltage levels--12 kV,  
18 34.5 kV, and such.

19           The vast bulk of the analysis for those projects  
20 has to be done by the distribution owner. We just don't  
21 have the involvement in those facilities. The bottom line  
22 is, we still manage the process with the transmission owner  
23 and the interconnection customer. We still facilitate all  
24 of the meetings around the different study results. In many  
25 cases, the interconnection customer works with a consultant

1 throughout the process. So we facilitate meetings. We take  
2 comments at each stage of the process, and we'll factor in  
3 their suggestions into any upgrades or results that perhaps  
4 we need to take a different look at.

5           The bottom line is, I provided in my materials a  
6 map. There is a significant number of projects, if you look  
7 at the geographical areas. So we still do have to manage  
8 the rights of the different projects since they are trying  
9 to connect back into our markets. So the study process  
10 still has to follow the timeliness that are dictated in the  
11 PJM Tariff in terms of, you know, the completion of the  
12 studies, and the amount of time that the developers have to  
13 review the results with PJM, with the transmission owner and  
14 their consultants, and get responses back to us so that they  
15 can then move on to the next stage.

16           At this point, we have had, you know, as I said,  
17 a fair number of the interconnection customers using this  
18 meeting process to review the study results, to review the  
19 upgrades with their consultants. I'm not sure that we need  
20 to have a third party completely separate from the customer  
21 and their consultants and PJM and the transmission owners.  
22 It seems so far that we've been able to get through the  
23 review of the upgrades and the projects that are moving  
24 forward have been able to identify the required upgrades and  
25 move on.

1           We have so far had about a 65 percent dropout  
2 rate among solar projects. The dropout rate in the big  
3 queue is probably closer to 88 percent. But that could just  
4 be because the solar projects are newer to the queue. We  
5 have still a couple of thousand megawatts of projects under  
6 study. So by the time that wave comes through, it may creep  
7 up a little bit.

8           The bottom line at this point, I think the  
9 process is working reasonably well. We are managing to keep  
10 it reasonably close to the tariff timeliness that are  
11 specified. And we have gotten a fair number of projects  
12 connected to the system.

13           Our experience is improving, as are our  
14 transmission owners, in terms of the types of analyses that  
15 they have to perform. And I think generally it's working  
16 pretty well at this point.

17           Thank you.

18           MS. KERR: Okay. Thank you. I guess the first  
19 question I have is: How would the independence of the  
20 third-party be assured? Whoever is interested in answering  
21 that?

22           MR. ADAMSON: Could you repeat the question?

23           MS. KERR: How would the independence of the  
24 third-party reviewer be assured?

25           MR. ADAMSON: Well, I think--

1           MR. DAUTEL: I think, just for some background,  
2 we got some comments that there was some question about  
3 whether the independence could be assumed in these cases.

4           MR. ADAMSON: You know, all I can speak to you is  
5 to what SEIA specifically proposed, and we proposed that  
6 essentially that you as a developer be able to bring in what  
7 you considered to be an independent third-party reviewer.

8           We didn't--basically, they are able to come in  
9 and hire their own experts. So I don't think there's  
10 necessarily some type of litmus test. But obviously if you  
11 pick somebody who is viewed as, you know, biased, that  
12 expert is not going to help you nearly as much as somebody  
13 who is viewed as playing it straight and somebody who is  
14 respected by both sides of the equation.

15           But we weren't thinking that there would be some  
16 kind of a specific standard. I can't speak--Jim offered  
17 some other thoughts, but--

18           MR. TORPEY: Yes. So this is speaking only for  
19 SunPower, not for SEIA, because this is not a SEIA petition,  
20 but I would envision something where you would have  
21 something like when you choose an arbitrator in a land  
22 dispute, or an appraisal dispute, where you have different  
23 parties suggesting people. And then you pick from a common  
24 group.

25           In other words, I would see something that this

1 expert would be somebody who would be approved by the  
2 utility and approved by the developer. And the idea would  
3 be to have a sort of a cadre of people who you would choose  
4 from, just as you do appraisal firms. And again, it would  
5 be important I believe from the utility perspective to have  
6 that person vetted so that they would understand something  
7 about the nuances of the system, et cetera, so that you  
8 wouldn't just be, you know, kind of plucking people out of  
9 the air; you would be plucking people, or sort of engaging  
10 people who have more experience and at the same time would  
11 be recognizing from the utility--from the developer side  
12 some of the nuances, or some of the alternative ways to come  
13 up with solutions that might be a little more cost  
14 effective.

15 MS. KERR: Dan?

16 MR. ADAMSON: Yes, you know, I also said I think  
17 we're flexible on this issue. So I think what Jim is  
18 talking about falls within the ambit of the kind of idea  
19 that SEIA is supporting. We just want to get some type of  
20 third-party expertise involved. There's different ways to  
21 do it.

22 MR. QUINN: Could I just ask a follow-up? Can  
23 the ISO or the RTO, if there is one in the area, serve that  
24 purpose of independence? What Mr. Herling was talking about  
25 sounded a little bit like you were facilitating meetings

1 between the developer company and the interconnection  
2 customer. Do you feel like you were applying engineering  
3 judgment in facilitating those meetings? Or were you mostly  
4 there as a facilitator in kind of this arbiter role?

5 MR. HERLING: Our ability to do that is fairly  
6 limited. We do facilitate those meetings. At higher  
7 transmission voltage levels I think we have a lot of  
8 expertise that we can apply to discussion of what upgrades  
9 may be required. But once you get down into the  
10 distribution system, it would be probably better to get  
11 firms that have that expertise specifically. So I don't  
12 think we could provide that level of expertise to provide  
13 that function.

14 MS. KERR: Mr. Torpey?

15 MR. TORPEY: I just want to be clear about one  
16 thing. First of all, what I'm not suggesting is that you  
17 don't have a third-party person engaged at all in the  
18 conversation from the very beginning.

19 I think any solar developer who has got any  
20 concept of how to get things done will be sitting down with  
21 the utility and PJM as one of the first things they do, with  
22 an independent consultant--you know, with their own third-  
23 party, or it could be someone from within the company--but  
24 engineering expertise to sit down and talk from the very  
25 beginning on how to put together the interconnection study.



1           So it's not let's wait to the end and then kind  
2 of make this process--kind of force this process. So that's  
3 the first thing.

4           And the second thing is this need for a third-  
5 party person, I think as Steve said and other people have  
6 said, many times this works very well and it's not necessary  
7 to do this. This would be sort of an extraordinary  
8 circumstance where there was a real dispute.

9           And what we're talking about is a lot of these  
10 costs being borne by the developer. So no developer is  
11 going to go through this whole process unless there's really  
12 something significant at stake. So this is not something  
13 that would be the norm. This is something that would be  
14 more, in my opinion at least, more an extraordinary or an  
15 unusual event.

16           But at least it would give a process, and it  
17 would provide a mechanism for this kind of third-party  
18 opinion to be codified and provide more of a record for a  
19 real codification of what the dispute might be.

20           MS. KERR: Mr. Herling.

21           MR. HERLING: Yes, I just--I agree with Jim's  
22 comment about the importance of having the developer bring  
23 expertise with them, consultants or staff, whichever, all  
24 the way through the process.

25           And honestly I think that will serve in most

1 cases to bring the same value that a third party would  
2 bring. We have consultants all the time challenging the  
3 upgrades that are identified, and suggesting alternatives,  
4 and we'll ensure that they go back and look at those and  
5 we'll determine whether it makes sense or not.

6 To have a truly independent third party, we don't  
7 have any experience with that so much in the interconnection  
8 process, but in our regional transmission expansion planning  
9 process we do now accept proposals from independent,  
10 nonencumbent transmission owners that they would like to  
11 develop in PJM.

12 We will hire firms, siting/engineering firms,  
13 construction firms, to do estimating and to evaluate the  
14 risks associated with siting and regulatory, et cetera, for  
15 those projects to kind of balance the estimates that the  
16 parties are providing to us.

17 We're using the same firms that our transmission  
18 owners are using, and that the nonencumbent developers are  
19 using. So what we typically do is have a bunch of them  
20 under contract, and in a given geographical area we try to  
21 get somebody who is not already working for the nonencumbent  
22 or for the transmission owners. And it's a challenge. And  
23 let's face it, they're not making nearly as much money  
24 working for PJM as they will eventually for, you know, the  
25 successful proposer of one of these projects.

1           So it is a challenge to find a true independent,  
2 and they often have to ensure that they're working with a  
3 crew where they can put a wall up between other parts of  
4 their business.

5           MS. KERR: Okay. Thank you. Mr. Salas.

6           MR. SALAS: Yes. I would like to address very  
7 quickly the--you know, as I stated before, we have the  
8 examples in the current process where applicants bring  
9 experts. I can think of at least three off the top of my  
10 head where the cost of interconnection is significantly  
11 high, so we're not talking about your simple little  
12 interconnections, but distribution upgrades, long-line  
13 extensions. And under the current process we already have  
14 the ability and the applicants have that ability to bring  
15 experts to basically challenge or provide for alternative  
16 solutions.

17           And under those types of projects that I'm  
18 thinking about, I mean we are looking at alternative ways to  
19 present the substitution upgrade, or alternative ways to do  
20 a significant line upgrade which saves the applicants  
21 millions of dollars.

22           So that process is already in place. And I just  
23 find it difficult that we're talking about adding an  
24 additional component that can't really not--I'm not sure  
25 it's really going to serve the needs of, you know, SEIA is

1 proposing.

2 MS. KERR: Thank you. I guess I would like a  
3 little more information on how the proposal is different  
4 from the current provisions in the SGIP, if one of the first  
5 three panelists would address that?

6 MR. ADAMSON: In one respect, it's diff--at least  
7 the SEIA proposal, not the Torpey SunPower SEIA proposal--it  
8 just says that the utility must give due weight, or  
9 substantial weight to the conclusions of the expert. So  
10 that is a significant difference from the status quo.

11 MS. KERR: Okay. Mr. Gilliam?

12 MR. GILLIAM: I talked about actually regulatory  
13 oversight. I think Jim framed it as essentially what we  
14 used to call a "technical master" on the engineering side.

15 This is not a pervasive problem, but there is an  
16 issue that has come up a number of times with my former  
17 company, and my sense was that--and with a lot of regulatory  
18 experience--over time when there's an opportunity for review  
19 of assumptions that are made, review of costs that seem  
20 unusual or in some cases maybe exorbitant, over time the  
21 regulatory process results in a better, narrow, defined set  
22 of costs and cost elements.

23 And I don't think that opportunity is captured in  
24 the SGIP today. There is a dispute resolution process in  
25 Section 4, which of course is related to transmission

1 providers because it relates to the FERC. But in terms of  
2 setting an example for state standards, in my view some  
3 additional oversight is needed whether it's a third-party  
4 independent arbiter such as a technical master, an  
5 engineering master that would be the final decision maker,  
6 or an opportunity to actually take the dispute to the state  
7 agency.

8                   And I realize that that's not your purview, but  
9 that's something that we see as needed. Thank you.

10                   MS. KERR: Okay.

11                   (Pause.)

12                   I'm just taking a minute to look at my notes. I  
13 guess, are there other options than what's been talked about  
14 here? The LGIP provisions seem to be not so popular with  
15 the panelists. Are there other provisions that you've  
16 thought about that should be considered?

17                   (No response.)

18                   MS. KERR: Seeing none, I do have a follow-up--  
19 oh, I'm sorry, Mr. Torpey, go ahead.

20                   MR. TORPEY: This is not quite to the point, but  
21 I think in terms of what you heard, there are a number of  
22 utilities and ISOs who essentially are establishing best  
23 practices, and being very inclusive in their processes of  
24 welcoming developers to bring in technical people, et  
25 cetera, publishing their timeliness so it's very transparent

1 what those timeliness are, and when we can expect  
2 information back.

3           But unfortunately our experience has been that  
4 that's not true of everybody. So essentially when you say  
5 what else? What are our other alternatives? The  
6 alternatives that would be very helpful, if there was a  
7 requirement that everybody did what Steve is talking about  
8 doing in terms of making their requirements, their technical  
9 requirements, transparent and so everyone would know what  
10 they are. At the same time, the timeliness and when people  
11 can be expected to get answers and get studies back, and the  
12 process that they should go through in order to make sure  
13 that that moves sufficiently. That would be very helpful,  
14 and I think a lot of the difficulties that sort of people  
15 are sensing as developers with the process would really be  
16 addressed by essentially make sure those best practices are  
17 done throughout the country.

18           MS. KERR: Okay. So just to follow up, you're  
19 talking about what Mr. Steffel talked about in his opening,  
20 the different practices?

21           MR. TORPEY: Yes, the criteria that's  
22 established, and what are those criteria, and how have they  
23 dealt with these situations in the past. And, you know,  
24 when would they require something like a transfer trip, or  
25 some kind of the technical requirements; that different

1 utilities vary on. So it's not that every utility--I'm not  
2 suggesting that every utility would have to adapt--adopt the  
3 same set of standards. But what I am saying is that,  
4 whatever those standards are, they should be published and  
5 everybody should know what they are so a developer knows  
6 what they have to address beforehand and doesn't have to  
7 wait three months to hear it.

8           And again, not everybody is doing that. But  
9 there are some utilities that tend to do that. And that's  
10 the sense sometimes that we put development interconnection  
11 proposals in and it ends up being a black hole, and no one  
12 knows what is happening to it. And maybe it comes back six  
13 months, and they say you didn't do X, Y, Z, and if we would  
14 of known it beforehand, that wouldn't have been an issue.

15           So it's a matter of transparency, and it's a  
16 matter of knowing, you know, what the timeliness are for the  
17 development process.

18           MS. KERR: Okay. So we have talked about this  
19 some, that revising, or allowing for more third-party review  
20 of upgrades would add cost and time to the interconnection  
21 process. And I guess I want to get a feel for what we think  
22 those timeliness would be.

23           What would be acceptable? If anyone would like  
24 to address that? Mr. Adamson?

25           MR. ADAMSON: Well I think as developer you are

1 only going to resort to the third-party process, or expert,  
2 if there's a lot of money on the table.

3 I mean, if somebody is saying--the utility is  
4 saying you've got to replace that transformer or that  
5 substation, or something, you know, that cost \$1 million,  
6 you know, you may save you and your company and your  
7 customers quite a bit of money by spending some money on an  
8 expert. So I think it just depends.

9 And you might get through your situation quicker,  
10 too. I mean, you know, you wouldn't want to--that's what  
11 Jim was talking about earlier. I mean, this is not  
12 something you would just kind of do routinely; you'd be  
13 doing it if you were in a crisis situation with a utility  
14 that, for whatever reason, you felt was being intransigent.

15 MS. KERR: Okay. Mr. Gilliam?

16 MR. GILLIAM: I just want to make sure we're  
17 differentiating between the different types of third-parties  
18 here. I think there's the third-party that would be in a  
19 sense the final arbiter of an engineering dispute. The  
20 other type of third-party that at least I've referenced a  
21 couple of times is one that is retained by the developer to  
22 review the interconnection feasibility study, system impact  
23 study, and so forth, and that might create that dispute to  
24 begin with.

25 In some cases, while it would be great to



1 have--and Dan is right, that there's a cost issue here--if  
2 you have a project that's relatively small, on the order of  
3 a couple of megawatts, it's hard to know when the right time  
4 is to bring in a third-party engineering expert until you  
5 see either some initial indication of the concerns of the  
6 utility, the potential upgrade requirements, and in relation  
7 to the cost of the project if it seems out of line, so to  
8 speak, then that's when the developer may want to either  
9 bring in a third-party engineer just to hire for itself, for  
10 its own edification, or to cancel the project. And that's  
11 usually the point in time that that decision is made.

12 MS. KERR: Okay. Mr. Herling?

13 MR. HERLING: I think probably the only thing I  
14 can add, my concern would be we get a lot of projects in  
15 very close electrical proximity to each other, and they all  
16 have pending rights with respect to our marketplace.

17 So if we're talking about some form of an  
18 arbitrator, you know, at the end of the day when you have a  
19 dispute that you can't resolve otherwise, whatever we do we  
20 have to be able to do it quickly so that the project that  
21 has the issue is not holding up, you know, a handful of  
22 projects behind them in the queue who may be anxious to move  
23 forward with their projects as well.

24 It would concern me to bring someone completely  
25 new to the process in at the tail end and have to go through

1 months of getting them up to speed, and some form of  
2 hearing, so that they can then pass judgment on the results  
3 that have been developed. And then we have to go back and,  
4 you know, provide some weighting to those results and  
5 determine whether or not a different result is justified.

6           Everybody behind that position in the queue is  
7 going to be impacted adversely.

8           MS. KERR: Mr. Salas?

9           MR. SALAS: Yes. I just wanted to re-emphasize  
10 again, and perhaps it is that it's a practice of Southern  
11 California Edison, where we already provide that ability.  
12 Perhaps other parts of the country don't do that, but at SCE  
13 you can bring a third-party and talk about substation  
14 problems, and talk about alternatives, and talk about  
15 different ways to mitigate the problem.

16           So adding additional steps in the process, as  
17 Steven indicated, can potentially put you in a situation  
18 where you are waiting for this third-party expert to make a  
19 decision. In the meantime, you have other projects that are  
20 in back that are waiting for this decision to be made.

21           So there's probably, you know, for the amount of  
22 projects that I have seen in the last three years that have  
23 this potential condition that could be resolved by already  
24 having the language in the tariff, it seems to me that  
25 adding this additional language, or additional provision can

1 actually provide additional delays that may affect a lot of  
2 other, more projects than actually providing the benefit  
3 that really is already there, you know, as part of the  
4 process itself.

5 MS. KERR: Okay. To come back to the LGIP  
6 comment process, I guess I would like to address it to the  
7 utilities. We heard from the solar panelists. Does that  
8 process, if you're familiar with it, provide meaningful  
9 input? Or do you have any other comments on that process?  
10 Mr. Herling?

11 MR. HERLING: YOU know, I think there's plenty of  
12 opportunity in that process for review and input, and many  
13 of our developers come, again, with consultants and have  
14 over the years offered all sorts of alternative solutions to  
15 the ones that we have developed between PJM staff and our  
16 transmission owners.

17 So I think that process has worked very well.  
18 The application of the same process to the smaller projects,  
19 the primary shift is that the upgrades are now down on the  
20 distribution system. So my staff are certainly involved,  
21 but the expertise that we can bring to bear is a slightly  
22 different focus there.

23 We don't have as much expertise in distribution  
24 as we do in transmission.

25 MS. KERR: Okay. Thank you. Mr. Salas?

1           MR. SALAS: Yes. As I stated, you know, the  
2 current process works. But now adding this language that's  
3 going to apply to all the projects, and now you have to wait  
4 30 business days after we provide the study, and then we  
5 have to wait 30 business days for the applicants to provide  
6 comments, it really is going to create a delay on all the  
7 projects.

8           By trying to help a few projects here and there  
9 that have those problems, you are going to create a delay on  
10 all the projects. Because now you have additional language  
11 there that we need to comply with.

12           Again, going back to the fact that we already  
13 have the process in place that addresses the condition  
14 itself, the problem, and I don't think you need additional  
15 times to actually add additional delay.

16           MS. KERR: Okay. Thank you. Mr. Gilliam?

17           MR. GILLIAM: Yes, I think I could just say as a  
18 practical matter, we are not looking to delay the process at  
19 all. Any delay adds cost, and for solar developers it makes  
20 a project much more difficult to finance. So I think the  
21 narrower thing we've been discussing outside of the LGIP  
22 process is the potential for an engineering master, which  
23 potentially could add some delay to some limited number of  
24 projects. But I think all of us have an interest in working  
25 together to keep those delays to an absolute minimum.

1 MS. KERR: Okay. Mr. Steffel?

2 MR. STEFFEL: Most developers come to us with the  
3 experts that are doing various types of electrical  
4 engineering work for them. So it would seem to me that most  
5 times those experts that they have as part of their team can  
6 act as that commentator for them, whether they feel there's  
7 something out of line with what the utility is requiring.

8 And then they can already provide that feedback.  
9 And they are normally on the calls that we have when we  
10 share results. We have meetings at the company with them  
11 when things are starting to move ahead. So there's plenty  
12 of dialogue there.

13 I'm not sure what another engineering party would  
14 bring to the, you know, benefit the whole project.

15 MS. KERR: Okay. Thank you. I don't have any  
16 other questions. Does any of the staff, or do any of the  
17 panelists want to say anything to wrap up?

18 (No response.)

19 MS. KERR: Okay. Well I would like to thank  
20 everyone who provided their input today. I know some of you  
21 travelled a long way. We really appreciate it.

22 We have heard a lot of discussion about how small  
23 generator interconnection is increasing in both the number  
24 of applications and in the amount of generation. We have  
25 also heard a lot about how the existing small generator

1 interconnection procedures and agreements could be improved.  
2 Some of the suggestions have included creating more  
3 transparency in the supplemental review process, and  
4 providing developers with information to clarify siting  
5 decisions.

6 Some panelists have suggested more time and  
7 opportunity for current processes to address issues, while  
8 others state a need for guidance now.

9 Staff will be reporting to the Commission its  
10 views on the ideas expressed today, as well as any comments  
11 that are filed in this proceeding. We encourage those  
12 submitting further comments to be specific regarding  
13 potential changes to the Pro Forma SGIA and SGIP, as well as  
14 any comments on the types of processes the Commission could  
15 us to achieve potential reforms. These comments are due in  
16 30 days, on August 16th, in Docket Number AD12-17-000.

17 Again, thank you for coming, and this concludes  
18 today's technical conference.

19 (Whereupon, at 3:48 a.m., Tuesday, July 17, 2012,  
20 the technical conference in the above-entitled matter was  
21 adjourned.)

22

23

24

25



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BEFORE THE

UNITED STATES OF AMERICA

FEDERAL ENERGY REGULATORY COMMISSION

----- x

In the matter of: :

Review of Small Generator : Docket Number

Interconnection Agreements : AD12-17-000

And Procedures Technical :

Conference :

----- x

Commission Meeting Room 2C

Federal Energy Regulatory Commission

888 First Street, Northeast

Washington, D.C. 20426

Tuesday, July 17, 2012

The technical conference was convened, pursuant to notice, at 9:03 a.m.

STAFF ATTENDEES:

Leslie Kerr, presiding	
Arnie Quinn	Christy Walsh
Elizabeth Arnold	Michelle Davis Tom Dautel
Thanh Luong	Monica Taba
Melissa Lozano	



## 1 P R O C E E D I N G S

2 9:04 a.m.

3 MS. KERR: Good morning, and thank you all for  
4 joining us today to share your views on and experiences with  
5 small generator interconnection. This technical conference  
6 was prompted by the Solar Energy Industry Association's  
7 petition for rulemaking, to update the Commission's pro  
8 forma small generator interconnection agreements and  
9 procedures.

10 In Order No. 2006, the Commission encouraged  
11 interested entities to continue to work together on small  
12 generator interconnection issues. This technical conference  
13 is convened to explore possible reforms to the SGIA and  
14 SGIP, to address the issues raised by the SEIA.

15 This morning, we will discuss two aspects of the  
16 Fast Track process in the pro forma SGIP. Specifically, we  
17 will discuss the 15 percent screen in Section 2.2.1.2 of the  
18 SGIP, and the two megawatt eligibility threshold for  
19 participation in the Fast Track process.

20 This afternoon, we will have two additional  
21 panels. The first panel will discuss collection and sharing  
22 of peak and minimum load data. The second panel will  
23 discuss review of upgrades required for interconnection.

24 We will begin with a five minute opening  
25 statement from each of our panelists. After the opening

1 statements, we will have questions from staff and perhaps  
2 from Commissioners. We intend for this to be an active  
3 discussion of possible reforms to the SGIP and SGIA, and to  
4 that end, hope that panelists will explore with us possible  
5 regulatory alternatives that could address the issues raised  
6 by SEIA, and that are consistent with the Commission's  
7 statutory responsibilities.

8 For those of you watching the live webcast or  
9 listening by phone, some of our speakers submitted materials  
10 in advance of the conference. Those materials and the  
11 agenda are available on the Commission's website. We plan  
12 to break for lunch around 11:30 and reconvene for the second  
13 panel at 1:00. We plan to wrap up the conference around  
14 4:00 this afternoon.

15 Restrooms are available at either end of the  
16 hallway behind the elevators. Building management has asked  
17 me to remind everyone that only water and no other food or  
18 beverages are permitted in the Commission meeting room.

19 Now I would like to welcome Commissioner Norris.  
20 Commissioner, do you have any remarks?

21 COMMISSIONER NORRIS: Thank you. Let me just  
22 welcome everybody. I appreciate you being here today to  
23 share with us, and we thank SEIA for bringing this issue to  
24 our attention, or raising the profile of this issue, if you  
25 will.

1           I think this is just a good example of how we  
2           have new technologies that are providing new opportunities,  
3           but operate different than some of the technologies we had  
4           had in the past.

5           So how do we adapt and change operations and  
6           rules to take advantage of those new resources? That's how  
7           I view this issue. So I think you've raised some good  
8           issues about how we -- let's look at the operations, the 15  
9           percent rule, SGIP, the two megawatt rule, and figure out  
10          how to make this work so we capitalize on what I think is  
11          just an emerging solar industry in this country.

12          I think the costs for solar are going to come  
13          down. It's going to become more pervasive as an energy  
14          resource from the DG level to the large scale level. How do  
15          we make changes in operation to accommodate this and  
16          capitalize on it and get it right.

17          So that's what I'm hopeful to learn from what I  
18          hear today, and of course you'll be building a record that  
19          I'll be reviewing with the other Commissioners as well. So  
20          thanks for all of you taking your time to give us input.

21          MS. KERR: Thank you, Commissioner. Now I'd like  
22          to introduce the staff at the table. To my left are Arnie  
23          Quinn and Christie Walsh will be joining us a little later.  
24          Elizabeth Arnold, Michelle Davis and Rachel Bryant. To my  
25          right are Tom Dautel, Thanh Luong, Monica Taba and Melissa

1 Lozano.

2 With that, excuse me, I believe we're ready to  
3 start the first panel. I would like to remind the panelists  
4 to please turn the microphone on in front of you when you're  
5 speaking, and turn it off when you're not.

6 Please also turn your cell phones off when the  
7 microphone is on, as they can interfere with the mics. Of  
8 course, everyone in the audience, including the audience,  
9 please turn off the ringers on your cell phones.

10 The panelists we're happy to have with us here  
11 today are Virinder Singh from enXco, on behalf of the SEIA;  
12 Carl Lenox from SunPower Corporation, on behalf of SEIA;  
13 Michael Coddington from the National Renewable Energy  
14 Laboratory; Tim Roughan from National Grid, on behalf of  
15 Edison Electric Institute; Steve Steffel from Atlantic City  
16 Electric; Jeffrey Triplett, Power System Engineering, on  
17 behalf of the National Rural Electric Cooperative  
18 Association; Jose Carranza from San Diego Gas and Electric;  
19 Michael Sheehan, Keyes, Fox and Wiedman on behalf of the  
20 Interstate Renewable Energy Council; and Rachel Peterson  
21 from the California Public Utilities Commission.

22 Now I'd like to invite our first panelist,  
23 Virinder Singh, to give his opening statement.

24 MR. SINGH: Thank you, Leslie. Okay. First of  
25 all, we'd really like to thank FERC Commissioners, FERC

1 staff for holding this technical conference and paying  
2 attention to this issue. We think it's a very important  
3 issue.

4 My name is Virinder Singh. I'm Director of  
5 Regulatory and Legislative Affairs for enXco. We are a  
6 development company headquartered in San Diego. We are  
7 constructing or have developed about 180 megawatts of solar  
8 and about 4,600 megawatts of wind, and we're engaged in some  
9 other technologies.

10 We think this is a very important issue, and I'd  
11 just like to provide some broader context before people who  
12 are more engineering oriented, take over the discussion a  
13 little bit more as is appropriate.

14 Since Order 2006 was issued in 2005, growth in  
15 solar generation capacity has been absolutely dramatic,  
16 fueled in part by certain state level policies, federal  
17 incentives and declining prices. Overall in the U.S., grid-  
18 tied solar photovoltaic PV capacity grew from 230 megawatts  
19 in 2005 to approximately 2,100 megawatts in 2011, or a  
20 ninefold increase. Total PV generation capacity now is  
21 approximately 4,400 megawatts.

22 The states with the most active sola markets are  
23 those that also have the most assertive policies, including  
24 rebates, requirements, net metering and specific procurement  
25 programs. According to Lawrence Berkeley National Lab, up

1 to 80 percent of grid-connected solar outside of California  
2 occurred in states that they deem as having the most active  
3 or impending solar requirements.

4 Some quick examples. New Jersey now has 15,778  
5 PV projects installed in the state, totaling 770 megawatts,  
6 with another 510 megawatts in the pipeline, meaning it's in  
7 review or there's a commitment letter issued for those  
8 projects. California has 1,000 megawatts of customer-  
9 generated solar generation at 122,000 sites.

10 They've also begun a wholesale generation  
11 procurement program totaling 1,000 megawatts called the  
12 renewable option mechanism, and they have a feed-in tariff  
13 program that totals 750 megawatts. Hawaii has 96 megawatts  
14 of PV generation installed through the first quarter of this  
15 year. 71 megawatts of that was installed over the last two  
16 years.

17 Massachusetts has a 400 megawatt solar  
18 requirement, with expectations of rapid uptake over the next  
19 several years, that we don't have Q data. Hopefully we will  
20 down the road. Finally, Arizona has 448 megawatts of total  
21 installed solar generation capacity by the end of the first  
22 quarter of this year, with the vast majority of that, almost  
23 400 megawatts, installed in the last two years alone.

24 Consequently, we are seeing areas where circuits  
25 are indeed being "walled off," so to speak, from further

1 generation, absent cost-prohibitive upgrades. In Hawaii,  
2 approximately ten percent of circuits now trigger studies at  
3 the 15 percent of peak level.

4 A Green Wire report compared the Islands maps  
5 with red-coded circuits, indicating circuits that require  
6 extensive study, as making the Islands look like they're  
7 coming down with the chicken pox. In California, areas with  
8 particularly strong development characteristics, such as  
9 having available land that can be legally converted to solar  
10 generation from agriculture, has resulted in a concentration  
11 of wholesale DG development in counties such as Kern and  
12 Tulare in the Central Valley.

13 Developers are now hearing about circuits that  
14 are essentially walled off absent extensive study, and the  
15 need to build new lines to accommodate the project Q in  
16 these counties. FERC has recognized the importance of grid  
17 planning in the context of state level RPSs, as evidenced in  
18 Order 1000, which formally takes state renewable portfolio  
19 standards into consideration, in terms of transmission  
20 planning.

21 Similarly, we have arrived at a moment in the  
22 solar industry where all stakeholders must revisit old  
23 assumptions about what the grid can handle, and how the grid  
24 has managed to ensure reliability amid a new state level  
25 emphasis on small-scale clean power generation.

1           In Order 2006, FERC stated that the SGIP and the  
2           SGIA must be revisited periodically, and not less than once  
3           every two years. Stakeholders, including SEIA, did not  
4           revisit both until now, and due directly to the material  
5           impact that the 15 percent of peak threshold is beginning to  
6           exert on implementation of state-level energy policy  
7           priorities.

8           We must revisit. States such as California,  
9           Hawaii and New Jersey have already recognized a need to  
10          revisit old assumptions, to avoid undue discrimination  
11          towards what are relatively new market entrants in the U.S.  
12          power generation sector.

13          We applaud these efforts. We also believe that  
14          national models from FERC can be extremely helpful in  
15          leveraging these efforts, and informing future discussions  
16          in other states that may place a higher priority on  
17          distributed solar generation.

18          California's Rule 21 reforms provide the most  
19          extensive model that is appropriate for balancing the  
20          public's focus on increasing solar generation, with  
21          essential reliability considerations. Regarding the two  
22          megawatt cap on Fast Track interconnection, we support a  
23          standard that relates to the overall screen of 100 percent  
24          of minimum load.

25          That is, Fast Track should be allowed for



1 projects that do not exceed the 100 percent of minimum load  
2 on individual circuits. Also note that the California  
3 Independent Systems Operator has asserted a five megawatt  
4 project size cap for Fast Track.

5 The 100 percent of daytime minimum load standard  
6 is still conservative in avoiding reverse power flows.  
7 Daytime load will almost always be higher than night time  
8 load, so the standard sets a bar above absolute minimum  
9 load.

10 Finally, I want to emphasize that the 15 percent  
11 of peak limit would still where interconnection requests are  
12 not approaching the cap, which are in plenty of places in  
13 the United States. So effectively, the revisions we are  
14 seeking would not affect broad swaths of the U.S. in the  
15 near future. The current standard would only need to be  
16 revisited when its effect is becoming material on both state  
17 policy implementation, as well as ratepayer cost.

18 I guess finally, I want to refer back to this  
19 Green Wire study report on Hawaii. Somebody called the  
20 current 15 percent of peak load cap "a conservative  
21 assumption of a conservative assumption." This leads to two  
22 results. A, an over-investment in distribution  
23 infrastructure, with attendant ratepayer costs.

24 Assuming that costs are ultimately foisted on  
25 projects, costs ultimately foisted on projects will get

1 reflected in market prices that are paid by ratepayers.  
2 Second, we risk a potential short-circuiting of state clean  
3 energy policies. Thank you for your time.

4 MS. KERR: Thank you. Carl Lenox is next.

5 MR. LENOX: Hi. I'm Carl Lenox from SunPower,  
6 representing SEIA. I just have a few brief comments this  
7 morning. Thanks very much again for the opportunity to  
8 address this issue. It's a very important issue for our  
9 industry.

10 And at the outset, I want to make clear that grid  
11 reliability and safety are, of course, of paramount concern  
12 to everyone, and the PV industry has no incentive to  
13 negatively impact reliability and safety. That context is  
14 really critical as we move forward.

15 However, the existing 15 percent of peak load  
16 screen does result in too many projects, which are  
17 technically viable, unnecessarily being placed into a costly  
18 study process. This can be frustrating for developers. It  
19 often kills a lot of projects, and it can increase utility  
20 workloads.

21 The screen that's being proposed here helps to  
22 better define the interconnection process. It's part of a  
23 larger supplemental review process, and passing the screen  
24 does not automatically interconnection. So incorporating  
25 100 percent of minimum load screen by itself really just

1 helps to create a more structured supplemental review  
2 process.

3 Changing the screen will not negatively impact  
4 grid reliability or safety. The main concern is that  
5 changes to the 15 percent of peak load screen can result in  
6 unintentional islanding within the distribution system. We  
7 have put together and circulated a Tentacle white paper,  
8 which discusses why this is not the case in some detail.  
9 That's available on the back table, and I can also speak to  
10 it today.

11 Empirically, we have not seen any evidence of  
12 unintentional islanding issues, even in markets where much  
13 higher distribution system penetrations are routine. For  
14 instance in Germany, where penetrations in excess of 100  
15 percent of daytime minimum load are routine and in fact  
16 reverse power flow is quite routine, we have not seen this  
17 issue.

18 In fact, in that country, in the spring of this  
19 year, we've seen up to 40 percent of the total electricity  
20 demand in the country served by PV predominantly, the vast  
21 majority of which was distributed PV. Just as a small  
22 commentary, we've actually seen PV installed in our country  
23 at a clip of a gigawatt per month or greater.

24 We've also seen that the CPUC and the California  
25 IRUs have agreed with the solar industry, that the

1 supplementary screen will streamline the interconnection  
2 process without negatively impacting safety and reliability.

3 So I would just conclude that SEIA urges FERC to  
4 consider adding the supplemental screen to the small  
5 generator interconnection process. Thank you.

6 MS. KERR: Thank you, and Michael Coddington is  
7 next.

8 MR. CODDINGTON: Well good morning. Thank you,  
9 Leslie, Commissioner Moeller and good morning everyone. I'd  
10 like to give you a little background on the recent report  
11 published last January by Embril, Sandia National  
12 Laboratories, EPRI and the Department of Energy, titled  
13 "Updating Interconnection Screens for PV System  
14 Integration."

15 It's nice to see that there are four of my co-  
16 authors in the audience today, representing each of the  
17 organizations. So during the early development of  
18 interconnection standards, there was a great concern that  
19 the load on distribution feeders will always be greater than  
20 the amount of DG on that feeder, primarily to reduce the  
21 chance of an unintentional island.

22 So it's necessary for utility engineers to  
23 understand what that minimum load level was, so they could  
24 limit the amount of DG on the circuit. Very few, if any,  
25 utilities actually tracked minimum load data, but virtually

1 all utilities do track peak annual load data on circuits.

2 And speaking from experience, 20 years in the  
3 utility industry, that's something I did on a very regular  
4 basis. It's how utilities plan and build new circuits when  
5 that's needed to serve load. So in order to approximate the  
6 minimum load level, engineers use a rule of thumb in which  
7 minimum load is approximately 30 percent of peak load.

8 If you cut that 30 percent in half, you get a  
9 very conservative number that is sure to be lower than the  
10 true minimum load. Now I'm all for rules of thumb and  
11 engineering. I mean they're great for, you know, trying to  
12 understand what the answer's going to be before you do a  
13 detailed study.

14 But you know, as long -- you know these rules of  
15 thumb are great as long as they are based on solid technical  
16 rationale, and I don't believe that this 15 percent  
17 penetration screen really meets that criteria. It tends to  
18 be a one-size-fits-all rule for all feeders.

19 When we talk about photovoltaic systems, we  
20 should be concerned about the minimum load during the period  
21 of maximum PV generation, which is referred to as "solar  
22 noon," and that's going to be between 10:00 a.m. and 2:00  
23 p.m.

24 So there are numerous case studies and  
25 testimonies, which you've heard already some testimony, of

1 large PV systems that have been through detailed studies,  
2 without need for any system modifications.

3 We've seen circuits operating at penetration  
4 levels of well over 50 percent, which seems to be more than  
5 anecdotal evidence that penetration may not be a limiting  
6 factor in deploying PV systems.

7 I believe that the 15 percent of peak load could  
8 be improved as a short-term solution methodology. Moving  
9 toward the minimum daytime load for PV system screening  
10 seems like a reasonable approach, as long as that system  
11 data is available.

12 Longer-term solutions, which I think is  
13 ultimately where we need to focus our efforts, we'll see  
14 advanced inverter technology and Smart Grid systems improve  
15 the landscape for interconnecting PV. So for the short  
16 term, I believe using minimum daytime load information,  
17 again if available, is a reasonable next step in improving  
18 the small generator interconnection procedures.

19 Most utilities use a SCADA system to gather their  
20 load information, and many of those SCADA systems have the  
21 capability to capture a defined history for each feeder, and  
22 again, I speak from experience.

23 That should include capturing minimum daytime  
24 load between the hours of 10:00 a.m. and 2:00 p.m. if  
25 possible. I believe that utilities could utilize minimum

1 daytime load as a significant improvement over this peak  
2 data, again if that data can be realized.

3 I also believe that using supplemental review  
4 screens could be a very helpful approach, primarily to  
5 assist electric utilities in getting through some of their  
6 queue of interconnection requests.

7 Supplemental screens should look at issues such  
8 as voltage levels, location of the proposed system, the  
9 impedance at that location and perhaps the available fault  
10 current level at that proposed location. It's complex,  
11 that's for sure.

12 As the far the question of two megawatts is  
13 concerned, I struggle with that number. I think there's a  
14 question on the table about whether that should be changed.  
15 A seasoned engineer once told me, when I was quite a bit  
16 younger, that I should have a good idea of what the answer  
17 should be before I do the study.

18 I understand now what he meant, and when I see a  
19 system in the megawatts, that certainly is a red flag that I  
20 want to look at a system that is that large. But that's my  
21 personal experience speaking. So for the long term, I see  
22 improved methods for integrating high PV on the distribution  
23 grid, that includes sophisticated modeling systems that are  
24 fast, and require much less time than the systems we use  
25 today.

1                   Think of using a PV interconnection easy button,  
2                   as it were, with an advanced study tool, and certainly the  
3                   national labs, the Department of Energy, groups like EPRI  
4                   are working diligently to develop such tools. Finally,  
5                   advanced inverters, electrical storage systems, robust  
6                   communications and control and a more intelligent grid will  
7                   all be part of the long-term solutions. Thank you.

8                   MS. KERR: Thank you, and next we have Tim  
9                   Roughan.

10                  MR. ROUGHAN: Thank you, and I want to thank the  
11                  FERC for hosting us here today. It's almost ten years ago  
12                  this summer that we had this same discussion, relative to  
13                  small gen procedures, and at the time, there was proposals  
14                  put forth by the industry suggesting various changes.

15                  At the time, it was very important that we all  
16                  work together as a group, to come up with what then became  
17                  the operative Order 2006. I think the main purpose of my  
18                  comments representing EEI is the same process really does  
19                  need to be followed. I think there's lots of different  
20                  utilities at different places in terms of interconnecting  
21                  large amounts of solar.

22                  California utilities, up in the Northeast and  
23                  Massachusetts, for example, just to help the first speaker.  
24                  We have over 850 megawatts of solar proposed, and about 115  
25                  megawatts installed in Massachusetts. That 850 megawatts



1 has come about in just the last two years.

2 Two years ago, the largest project we were seeing  
3 looking to be interconnected in Massachusetts were 50  
4 kilowatts, 100 kilowatts. Now it's fairly routine to get  
5 three, four, five megawatt proposals on the local  
6 distribution, local distribution circuits that feed three to  
7 five thousand other customers.

8 The key point of doing the interconnection  
9 analysis, whether with screens or reviews, is to make  
10 absolutely sure that once that system is interconnected and  
11 operating, that it does not affect the customers next door.  
12 This is a very different animal from larger projects that  
13 typically have interconnected to transmission level and  
14 larger and higher voltage systems. When you're connecting  
15 to local 12 and 13 kV systems, you really have to recognize  
16 that there are significant issues out there.

17 Most of the solar projects that we're seeing in  
18 Massachusetts and Rhode Island, because they have similar  
19 subsidies now, are out at the fringes of our distribution  
20 system, because that's where the land is available and  
21 inexpensive to build these projects.

22 Had they been proposed in the load centers, very  
23 different things could occur. But because of where they're  
24 being proposed, it causes significant issues relative to  
25 again, the neighbor's power quality and their reliability as

1 well.

2 So it's important to recognize that at a high  
3 level, and I see today as a repeat of ten years ago, where  
4 we really need to get together with the industry, as the  
5 electric utilities come up with a plan as to how to move  
6 forward and potentially modify the small gen procedures.

7 Because it's very important as we go forward to  
8 continue to support the states that we all work in. You  
9 know, EEI and National Grid and the utilities are very  
10 supportive of the state policies that are promoting  
11 renewable energy, and we have been engaged specifically in  
12 the legislative process to get those policies and procedures  
13 put into place.

14 And working together with the industry, we can  
15 come up with ways to streamline the process. But I think it  
16 is premature to simply change the rules because today, it  
17 appears that it's getting more difficult to interconnect  
18 solar. It's more difficult simply because of the size of  
19 the projects are so dramatically different than just a few  
20 years ago for many parts of the country.

21 When you're talking four megawatts on a circuit  
22 that typically has a peak load of five or six megawatts,  
23 it's a significant impact. The issue of minimum loading is  
24 also concerning to us, because again, it will and can affect  
25 the flexibility of the system going forward, if you now have

1 to maintain a certain amount of minimum load on a circuit  
2 out there.

3 The 50 percent limit was put in place as a  
4 conservative level, to make sure we wouldn't affect the  
5 neighbors, and going forward, whether that needs to be  
6 adjusted or changed is again part of a consensus-building  
7 effort that I think we should probably embark on going  
8 forward.

9 Because there's many issues that do need to be  
10 looked at. You know, we are all working through how we're  
11 going to increase the reliability and safety of our systems  
12 through additional intelligence and communications, the  
13 Smart Grid, if you will.

14 As we go forward, we need to understand how we  
15 need to modify some of those proposals that are already in  
16 front of some regulators, in terms of how to accommodate  
17 additional amounts of renewables, whether it be solar, wind,  
18 landfill gas, biomass, etcetera. There's lots of other  
19 opportunities out there which we really need to properly  
20 address.

21 And in terms of the two megawatt value, again  
22 we're talking circuits where in the locations they're being  
23 proposed, the peak loads aren't very much higher than the  
24 two megawatts. So you really need to get into the details  
25 of the review, to make sure that when you're done with the

1 review and it goes online, it will not affect the neighbors'  
2 reliability and power quality safety.

3 Because once they're online, there's not anything  
4 we can do about them. So we need to be absolutely sure,  
5 when we're done with our studies, that what we've agreed to  
6 through the interconnection agreements will provide for a  
7 highly reliable system, that will produce all the benefits  
8 of renewable energy which the states and the country need,  
9 but conversely also work well with the utility distribution  
10 system in the area, to maintain that high level of  
11 reliability that our customers have grown so accustomed to  
12 over the past few decades. Thank you.

13 MS. KERR: Thank you, Tim. Next we have Steve  
14 Steffel from Atlantic City Electric.

15 MR. STEFFEL: Thank you very much for the  
16 opportunity. I'm Steve Steffel with PEPCO Holdings, Inc.  
17 Atlantic City Electric is one of our utilities, as well as  
18 Delmarva Power in the PEPCO area, right here in Washington,  
19 D.C. All of our areas are experiencing solar integration.  
20 We've got about 150 megawatts total right now, and  
21 increasing rapidly.

22 We do support solar integration. We've made the  
23 SEPA Top Ten List with Atlantic City Electric for the last  
24 couple of years, and while PHI supports increased solar and  
25 other distributed energy resource additions, and we do have

1 a number of other ones that apply to and we have to  
2 accommodate all of them, we remain focused on maintaining a  
3 reliable grid for customers.

4 PHI is supporting a lot of the efforts that  
5 develop advanced technology. In inverters, we've already  
6 worked with one inverter company to develop new software.  
7 We're working on advanced modeling programs so that we can  
8 actually assess grid impact very quickly for applications.  
9 We have measurement data collection systems out there.  
10 We're working on new communications.

11 We want to accommodate all the renewables that  
12 want to come on the grid safely and reliably. One of the  
13 things, though, that is a takeaway, if we do have  
14 installations that cause negative impacts on the grid, it  
15 will ultimately hurt the solar industry or those industries  
16 that are attempting to put that type of equipment on the  
17 grid.

18 We do have a lot of pending systems, and so  
19 that's some of our focus. One of the things I'd like to  
20 mention and point out, and it is available in the handouts,  
21 but we're just going to touch on some of the highlights, on  
22 hosting capacity.

23 EPRI just did a recent study on one of our rural  
24 feeders, and the study came back that the minimum hosting  
25 capacity could be as low as 3.3 percent, depending on where

1       you put the inverter-based systems, the solar systems.

2                   Then they compared it to an urban feeder, and the  
3       urban feeder was similar voltage, similar load and peak.  
4       Had a much, much different, much higher hosting capacity.  
5       So this is something that we've got to keep in mind, is that  
6       there are all kinds of feeders out there with different  
7       characteristics and different hosting capacities.

8                   One example I'll give, and it's also on our  
9       handout, we just experienced that. We have a system that  
10      1.3 megawatt AC PV system, 1.8 miles out from the  
11      substation. This particular feeder, we know that typically  
12      it's around 30 percent the minimum load to the peak load.

13                   But this particular feeder had a 15 percent  
14      daytime minimum load. It's quite an anomaly. There's not a  
15      lot of feeders like that, but this one had a lot of  
16      industrial customers. So we experienced in the spring time,  
17      when you typically have your maximum output, there was some  
18      reverse flow on this feeder.

19                   It wasn't anticipated by our planning engineers  
20      and it had passed the screens, and it had gone in without  
21      any detailed study. Well, it caused reverse flow on a  
22      voltage regulator right outside the substation. That  
23      regulator went to maximum raised position on the feeder, and  
24      it caused damaging high voltage for several closer-in  
25      customers.

1           Even though the inverters tripped later on at the  
2 solar site, the closer-in customers experienced high voltage  
3 and actually resulted in significant damage to equipment.  
4 So it is very possible to have that condition, and there's  
5 other, many other feeders, irrigation feeders, different  
6 types that have loads that area not predictable.

7           Economic changes. These particular industrial  
8 loads on this feeder probably operated seven days a week,  
9 cut back on the weekends, and resulted in this situation.  
10 One of the other things is that this can occur on any  
11 feeder, where you have a voltage regulation zone.

12           If you don't have the voltage regulator set up  
13 for reverse flow from a co-gen unit or a PV unit, you can  
14 experience the same problem, and there's voltage regulators  
15 on feeders that haven't been set up for this type of  
16 phenomena. So you can have little ones, big ones that cause  
17 that.

18           In summary, the 15 percent screen is good for the  
19 vast majority of circuits, and should be maintained.  
20 However, it should not be viewed as a failsafe screen, and  
21 utilities should have the discretion of doing further study  
22 when initial investigation warrants.

23           A situation in the case study can easily be  
24 repeated on feeder regulation zones by the addition of small  
25 or large PV systems in aggregate, causing reverse flow on a

1 voltage regulator not set up for that condition. As more  
2 and more solar is integrated over the period of time, the  
3 historical peak, the daytime loads become masked and screens  
4 become more difficult to use accurately.

5 And hence, the need for very conservative  
6 screens. The more you want to go away from conservative  
7 screens, the more time it's going to take, and you're not  
8 going to have a quick assessment tool. DA and  
9 reconfiguration schemes must also be considered, and our  
10 utility has a goal of putting that in across the board to  
11 increase reliability.

12 Systems less than two megawatts can have a  
13 significant impact, as we just saw in that example, so the  
14 two megawatt threshold should remain. That concludes our  
15 comments.

16 MS. KERR: Thank you. Next is Jeffrey Triplett  
17 from Power System Engineering, on behalf of NRECA.

18 MR. TRIPLETT: Well thank you to the FERC staff  
19 and the Commission for the opportunity to speak on behalf of  
20 the National Rural Electric Cooperative Association. The  
21 question on the table today is whether or not the existing  
22 SGIP screens, and in particular the 15 percent screen, still  
23 provides a valid means to determine whether or not an  
24 interconnection should be chosen for a Fast Track process,  
25 or whether it warrants further study.



1           And the existing screen, if you look at the last,  
2           since the screens have been implemented, the proof of what  
3           they've been able to achieve, the screens have shown that  
4           they are sufficiently conservative, such that PV and other  
5           generation that has been interconnected with systems on an  
6           expedited Fast Track basis hasn't proven to cause harm to  
7           the system.

8           But it's not shown itself to be so conservative  
9           that generation interconnections can't get into the Fast  
10          Track process. Thousands, in fact, have qualified for the  
11          Fast Track process and have been done through that process.

12          Those that did require further study, because  
13          they didn't pass a screen, were able to be accommodated  
14          through the study process by determining what the issues to  
15          the system were and then developing solutions to those  
16          issues.

17          If we look at what has changed since the original  
18          screens have been created, nothing material has changed in  
19          the utility industry as far as how we design and operate the  
20          electric utility system. Nothing material has changed in  
21          the way that generation is interconnected with our systems.

22          What's changed is that we have a lot higher  
23          penetration of DG on the systems, and that's what's  
24          warranted the review of this screen. Review is a good  
25          thing. We should periodically review these things to

1 determine if they're still meeting the needs that they were  
2 originally intended to meet.

3 But the fact of the matter is most utilities,  
4 especially the rural electric cooperatives that NRECA  
5 represents, do not have significant experience with high  
6 penetrations of DG. It just hasn't happened yet.

7 There certainly are places in the country that  
8 have been mentioned here, earlier in discussions, that have  
9 seen high penetrations of DG, and I'm sure that there are  
10 some utilities that have more comfort level with those  
11 penetrations.

12 But in general, the industry as a whole is not  
13 ready for high penetrations without certain types of screens  
14 to determine whether study is required of those high  
15 penetrations. If we look at adding supplemental screens to  
16 the process, especially those as proposed, it undermines  
17 good utility planning.

18 When we plan the system, we plan it to not  
19 operate at its operational limits. We have safety margins.  
20 We have certain levels of safety and reliability that we  
21 have to afford our customers. If we operate the system near  
22 its thresholds, then we're not doing our due diligence as  
23 utilities and utility planners, to ensure safety of the grid  
24 and the consumers connected with it.

25 If we look at the 100 percent of minimum load

1 supplemental screen that's being proposed here, just on the  
2 surface you can see that it's right at a threshold. One of  
3 the concerns associated with interconnections is reverse  
4 power flows, as we heard another panelist speak to.

5 At 100 percent of minimum -- at 101 percent of  
6 minimum load, reverse power flows occur. So we're operating  
7 right at a threshold, and operating at that threshold  
8 without allowing study, to determine what impacts to the  
9 system might happen should 101 percent of minimum load be  
10 achieved, which is pretty easy on the utility system to see  
11 changes in load over time, is just not doing due diligence  
12 in the planning of the system.

13 If we look -- there's lots of other technical  
14 reasons why looking at the proposed supplemental screens  
15 cause concerns. I've submitted those in a written  
16 statement, so I won't go into those technical reasons just  
17 at this time.

18 But there are certainly better alternatives to  
19 reviewing these screens, and whether or not supplemental  
20 screens are required. As I mentioned, it is good to review  
21 this process, to determine if it's still meeting the needs.  
22 There are working groups, IEEE 1547 working groups right now  
23 that are working on similar issues.

24 1547.7 is reviewing the system impact study  
25 requirements, what should trigger those types of studies,

1 routine studies and advance studies. 1547.8 is looking at  
2 high penetrations of DG and what might need to be done to  
3 accommodate those safely with utility systems.

4 These types of working groups with technical  
5 experts is really the perfect forum to be talking about  
6 these screens and what changes might need, and I would  
7 encourage everyone to consider letting those working groups  
8 work through their process, to determine what changes might  
9 be useful. Thank you.

10 MS. KERR: Thank you. Next we have Jose Carranza  
11 from San Diego Gas and Electric.

12 MR. CARRANZA: Good morning. I want to thank the  
13 Commission for the opportunity to participate in today's  
14 technical conference in behalf of San Diego Gas and  
15 Electric. My name is Jose Carranza and I am the Electrical  
16 Distribution Planning Manager for San Diego Gas and  
17 Electric.

18 I'd like to say that SDG&E has an extensive  
19 experience with connecting small-scale net energy metered  
20 solar projects in its service territory, and is a signatory  
21 to the California Public Utilities Commission Rule 21  
22 settlement.

23 SDG&E believes that the current Fast Track  
24 program, including the 15 percent screen and the two  
25 megawatt limit, provides a workable and efficient means of

1 facilitating the interconnection of small generating  
2 facilities. SDG&E's experience with the current Fast Track  
3 process does not necessarily mean that there is not room for  
4 improvement.

5           However, SEIA's proposal would not be an  
6 improvement in our opinion. The proposed changes to the  
7 megawatt limit and load screens do not take into account  
8 that all systems are not the same, especially the  
9 distribution systems.

10           The changes would likely violate the technical  
11 and operating limitations imposed by our distribution  
12 system's electrical characteristics, and thus be unworkable  
13 in many instances.

14           Examples of unacceptable operating conditions  
15 that must be avoided when interconnecting generation  
16 include, but are not limited to, over-voltage conditions,  
17 under-voltage conditions during transient generation,  
18 because our equipment does not respond fast enough,  
19 especially if there's regulation on circuits.

20           Conditions that cause those type of situations to  
21 happen are when clouds or marine layers occur, as such is  
22 the case in San Diego. Many days, there's a marine layer  
23 that comes in and lasts for the whole day.

24           So in regards to Rule 21, the CPUC Rule 21  
25 distribution interconnected settlement concludes that the

1 initial phase of the CPUC process for revisiting the  
2 interconnection rules, and is not the ultimate solution of  
3 how to improve the interconnection process in California.  
4 We still have a lot of work ahead of us.

5 There are two interdependent phases. Phase 1,  
6 which we're wrapping up, establishes the framework of the  
7 interconnection process. Phase 2 will address several other  
8 salient issues that remain on the table, which includes  
9 further revisions that we anticipate will be the 15 percent  
10 threshold screen. We're probably going to revisit that in  
11 the next few months.

12 As part of the Rule 21, we revised the  
13 supplemental, we created a supplemental review and  
14 associated technical screens. The supplemental review is  
15 triggered when an interconnection applicant proposed  
16 generating capacity causes the aggregate generation capacity  
17 on a line section, not the circuit, to exceed the 15 percent  
18 peak load.

19 There's been a lot of discussion about the 15  
20 percent and 100 percent minimum load here, but what's  
21 forgotten to be mentioned is it's of every line section  
22 protected by an automatic device. That could be a fuse;  
23 that could be a recloser; that could be a circuit breaker.

24 So we've got to make that differentiation, that  
25 it's not just the load on the circuit. It's the load on

1 every line section. The supplemental review looks at the  
2 level of penetration of self-generating capacity, as I  
3 mentioned, measured against 100 percent of the line section  
4 minimum load. Again, I want to stress that, because it's  
5 very important that we understand that it's the line section  
6 minimum load.

7 We've got to consider whether the power quality  
8 and the voltage can be maintained within the defined limits,  
9 when we allow 100 percent penetration, and whether any  
10 additional safety reliability impacts are present.

11 The new 100 percent of line section minimum load  
12 screen is applicable only to projects undergoing the  
13 supplemental review. So if you come in and you're above the  
14 megawatt limit, the two megawatt limit, or the 15 percent  
15 threshold, you will go into a supplemental review.

16 In the supplemental review, 100 percent of the  
17 line section minimum load screen is a screen that we have,  
18 but we must consider it along with other screens, which we  
19 call the power quality and voltage test screens for  
20 reliability and power quality verifications.

21 The Screen O and Screen P, which is the power  
22 quality and the reliability tests that we have built into  
23 the Rule 21, in 100 percent of the line section minimum  
24 loads screens are interdependent. We can't do it without  
25 each other. Without the Screen O and Screen P, the 100

1       percent of the line section would be problematic, as there  
2       is no way to verify that the power quality and the  
3       reliability are impacted.

4                It's very important for the safe operation and  
5       reliability operation of our systems that we do that. The  
6       15 percent threshold screen continues to function well as a  
7       rule of thumb, permitting interconnections without  
8       additional study, and has been left in place in the initial  
9       review component of the Fast Track process.

10               The 15 percent threshold screen rule should not  
11       be replaced by 100 percent of the line section minimum load  
12       screen. As mentioned earlier, it puts us right up against  
13       the limit of our distribution system, would could cause  
14       problems if load should go away. So we've got to be very  
15       considerate of how much load is on a circuit, because it's a  
16       snapshot of today when we do the studies. Tomorrow may be  
17       different.

18               Speaking for SDG&E and its distribution system  
19       limitations, the current Fast Track program, including the  
20       15 percent screen and the two megawatt limit, provides a  
21       workable and efficient means of facilitating the  
22       interconnection of small generating facilities to SDG&E's  
23       distribution system.

24               SEIA's proposal could potentially slow the Fast  
25       Track process for all projects, especially if the two



1 megawatt limit is raised to ten megawatts or done away with,  
2 as is proposed. Such a removal of those limits could  
3 increase the generation size that is being proposed and  
4 thus, since it's moving away from the two megawatt limit,  
5 potentially also increase the number of projects that are  
6 failing to go through Fast Track, and impact our work flow.

7 Data on minimum daytime loads for periods between  
8 10:00 a.m. and 2:00 p.m., as mentioned earlier, is not  
9 readily available for line sections of the distribution  
10 system. We don't have monitoring equipment everywhere. We  
11 don't have SCADA everywhere.

12 We typically install SCADA at the substation. It  
13 may be midway down the circuit, it may be at a tie at the  
14 end of the circuit. But you have many branches of circuits  
15 that do not have any type of load monitoring on them.

16 SEIA's proposal to use less rigorous screens and  
17 limits may not be reasonable, given our distribution  
18 limitations. The screens in the Rule 21 settlement were  
19 developed to provide the flexibility that helps address the  
20 differences in each IAU's distribution system, differences  
21 such as distribution system design, equipment, operational  
22 differences among each utility. Even in California, the  
23 three utilities have different ways of operating our system.

24 The differences impact the amount of penetration  
25 that can be safely and reliably interconnected onto our

1 distribution systems. Other factors that may impact the  
2 penetration levels on the distribution system include, as I  
3 mentioned earlier, the size of the generation, the location  
4 of where the interconnection is occurring on the circuit,  
5 the amount of load on a line section, especially on minimum  
6 load days, and where we don't readily have that information  
7 available, as may have been thought previously.

8 The distribution system voltage also plays a big  
9 part in the amount of penetration that could be afforded in  
10 a circuit. The higher the voltage, the stiffer the circuit,  
11 potentially allowing penetration to go up. Not all of us  
12 have the same voltage on our distribution system across our  
13 systems.

14 Length of feeders and branches play another big  
15 role, and to make things a little more complex, not all of  
16 our circuits have the same design and capacity built into  
17 them. So I guess what I'm trying to say here is our systems  
18 are different, and interconnecting into our systems is not  
19 an easy thing. It's a complex thing that we have to study.

20 We believe at this time that a rulemaking is  
21 premature. We believe that potentially the Commission  
22 should continue to explore putting working groups together,  
23 to have the engineering and everybody else work together in  
24 groups, to come up with a consensus on what modifications  
25 need to be made as we move forward, to hopefully improve the

1 penetration levels on our systems. Thank you for your time.

2 MS. KERR: Thank you. Next we have Michael  
3 Sheehan from Keyes, Fox and Wiedman, representing IREC.

4 MR. SHEEHAN: Thank you, and I wish to thank the  
5 Commission for this opportunity to -- but first, a little  
6 bit about IREC in case you're not familiar with it. We're a  
7 501(c)(3) organization, so we do no lobbying.

8 But we do interconnections at the state level.  
9 We've been in 30 states in the last three years, and  
10 currently we're involved with California, Hawaii,  
11 Massachusetts, New Jersey, Washington and we're basically --  
12 we do this on a state-by-state basis. So we're very  
13 involved at the state level.

14 I'd like to start off by saying that you've heard  
15 this morning that basically the 15 -- utilities feel very  
16 comfortable with the 15 percent screening. The problem is  
17 not just the 15 percent screen; the problem is what you do  
18 when you're above the 15 percent, and how do you handle that  
19 above 15 percent?

20 What we believe, the results that above 15  
21 percent is that the systems are subjected to more study than  
22 is needed. This can undermine the cost effectiveness,  
23 particularly of small and residential commercial systems.

24 We think a different approach is needed for  
25 interconnections for those systems, and we applaud the

1 approach -- we basically look at the supplemental review  
2 approach, as a way of getting being able to address the  
3 above 15 percent screen.

4 In this approach, the supplemental review has  
5 been, it's part of the SGIP. It's part of Hawaii's 14(h)  
6 and California Rule 21. We think this supplemental review  
7 process is a way of addressing the above 15 percent limit.

8 California and Hawaii have added a lot more  
9 detail to the supplemental review than that's in the  
10 existing FERC SGIP. In addition, we've been talking with  
11 SMUD. SMUD is the Sacramento Utility District, and they're  
12 presently using the 100 percent of minimum load.

13 One of the things that SMUD is doing is it's  
14 doing a calculate and measure approach. What they're doing  
15 is they're calculating what they think this minimum load  
16 should be, and then they're using a measurement device to go  
17 out there and measure kind of what's going on.

18 That calibration is giving them a lot more  
19 confidence that their models are actually performing the way  
20 they want it to do, because as Jose pointed out, the system  
21 is dynamic and it does change, and you need to make sure  
22 that you calibrate and you develop a risk tolerance that you  
23 feel comfortable what you have on your system is what you  
24 expect to have. So we think that's an important, another  
25 step in this process, of how to develop a better tool.

1           IREC endorses the proposal Rule 21, with both,  
2           with the review approach for penetrations about 15 percent  
3           of peak, up to 100 percent of minimum load. Maximum load  
4           currently is relevant to circuit criteria for  
5           interconnection process. Minimum load is currently relevant  
6           for the interconnection process.

7           Utilities currently look at the extent to which  
8           the generation capacity may exceed the minimum load of the  
9           interconnection process. We propose to make the  
10          consideration more transparent. Part of what we believe it  
11          needs to be the existing screen of 15 percent. Above that  
12          is not very transparent.

13          So what we have worked with with PG&E, SCE in  
14          California was to develop screens N, O and P, in particular  
15          to develop a lot more transparency, so that people would see  
16          what's actually going on once you get above that 15 percent.

17          We worked closely with them to develop those  
18          screens. In particular, Screen O goes back to kind of the  
19          Embril Sandia report. Screen O points out within 2.5 miles  
20          on a 600 amp wire, which is big wire and close to a  
21          substation, you can get a lot higher penetrations, and it  
22          gives a lot more detail for people, so that they can see  
23          what's going on in the feeder, so they'll have a better  
24          understanding as they're applying to these systems, and to  
25          get to higher levels of penetrations.

1           We feel one of the other benefits that this has  
2           is that there's a fee associated with the supplemental  
3           review. It's not a free step. The developer has to pay for  
4           this. It gives more information, but it's a more step-wise  
5           process, because right now you go from a Fast Track process  
6           into this study process, and you get lost in the study  
7           process because that could take long, long time typically.

8           So we believe that with the quick review with the  
9           supplemental review, it's a lot more useful for the  
10          developer if they can fall into that, those screens, and  
11          pass those supplemental review screens. We feel it's a lot  
12          better approach doing it. And again in Hawaii and  
13          California, we've added a lot more detail into that and to  
14          those screens.

15          MS. KERR: Okay, thank you. Last we have Rachel  
16          Peterson from the California Public Utility Commission.

17          MS. PETERSON: Thank you, and I'd also like to  
18          thank FERC's staff and Commissioners for having today's  
19          technical conference, and for the opportunity to speak about  
20          some of the reforms currently being proposed in California.

21          My name is Rachel Peterson. I'm the analyst  
22          who's advisory to the open rulemaking at the CPUC on  
23          distribution level interconnection protocols. Those are  
24          primarily contained in the CPUC jurisdictional Rule 21  
25          electric tariff.

1           I'd also like to mention that CPUC's general  
2           counsel, Frank Lind is here as well. I can't see him. Oh  
3           yeah, Frank, and he and I really worked at a staff level to  
4           facilitate the settlement process that you've heard  
5           panelists refer to.

6           So what I'm going to speak from today is really  
7           two pieces of that settlement that are relevant to today's  
8           panel. But if you have, if anyone has additional questions  
9           about the settlement process, Frank and I can certainly  
10          answer those questions.

11          I did submit written materials. There are hard  
12          copies of those at the table at the front of the room. Then  
13          last, one more piece of context. There are a number of  
14          other signatory parties here today. I'm really pleased to  
15          see that IREC, San Diego Gas and Electric, Southern  
16          California Edison are all present in the room, and can speak  
17          very knowledgeably to what we've done in terms of proposed  
18          reforms for Rule 21.

19          California's at the forefront of procuring  
20          renewable energy. Starting in the middle of this past  
21          decade, we began to create procurement programs specifically  
22          designed to bring or encourage exporting generating  
23          facilities to interconnect to the utility distribution  
24          system.

25          Some of the best known are the renewable and

1 combined heat and power feed-in tariffs, and the renewable  
2 auction mechanism, also known as RAM. Those programs  
3 provide a blend of avoided cost and market-based pricing,  
4 under which the generating facility sells the power either  
5 to the host utility or into the wholesale markets.

6 These programs are in a different place on the  
7 distributed generation spectrum, from the California solar  
8 initiative and net energy metering tariffs, which have rules  
9 specifically limiting the customer to designing their system  
10 so as to offset onsite load.

11 The generating facilities that participate in the  
12 feed-in tariffs and RAM are built to export some or all of  
13 their output, and they can range in size from below 500  
14 kilowatts to 20 megawatts. California initiated these  
15 programs with a range of policy goals in mind, including  
16 reducing greenhouse gas emissions, greening the energy  
17 supply and stimulating the market for lower cost renewable  
18 energy.

19 Those policy goals also share a lot in common  
20 with California's interconnection policy, which has its  
21 roots in PURPA, and is intended to emphasize a clear and  
22 predictable path to interconnection for non-utility owned  
23 generation.

24 Now what California has done with the creation of  
25 those procurement programs is to place interconnection of



1 exporting generators on the utility distribution systems, at  
2 a crossroads that is at times rife with conflict.

3 The key interconnection fact about the generating  
4 facilities participating in the feed-in tariffs and RAM is  
5 that location decisions are driven by any number of factors,  
6 some of which we've heard about already, such as remote  
7 locations, where the solar resource in California is strong;  
8 the location of an industrial facility or a dairy; or land  
9 prices low enough to accommodate a PV system of the size  
10 that's needed to make the project economics work.

11 As developers join in these programs file  
12 interconnection requests under Rule 21, two problems that  
13 are relevant to today's panel became apparent. First, an  
14 interconnection tariff that places all exporting generating  
15 facilities into a serial study process is only functional up  
16 to a certain point. There is a point at which the volume of  
17 interconnection requests simply becomes too much for the  
18 utility to handle.

19 This is the case under the presently effective  
20 Rule 21, in which if you are an exporting generating  
21 facility, you're automatically placed into supplemental  
22 review or detailed study.

23 The second problem is that the introduction of  
24 programs like the feed-in tariffs, that emphasize the export  
25 of power onto the distribution system, alongside the

1 locational decisions being made by developers, such as  
2 places where aggregate generating capacity might be already  
3 high, or load levels at present might be low, places  
4 pressure on the exact screen that designates expedited  
5 interconnection as based on that relationship between  
6 aggregate generating capacity and load.

7 So these problems are a piece of the why, which  
8 is why California undertook a settlement process to reform  
9 Rule 21, and they also at the same time present the question  
10 of what, to try to encapsulate in a single question for  
11 today's panel.

12 Can the Rule 21 technical screens be expanded to  
13 identify the conditions under which an exporting generating  
14 facility can have an expedited and predictable path to  
15 interconnection? This is one of the questions that the  
16 settling parties wrestled with, and they ultimately answered  
17 it yes.

18 They introduced two key components to Rule 21  
19 that are relevant to today. The first is a new penetration  
20 threshold, which other panelists have already spoken about,  
21 and the second is new exporting generator size limits for  
22 the Fast Track process.

23 First, as to penetration. The settling parties  
24 retained the 15 percent of peak load threshold in the  
25 initial review track of Rule 21. This is because the 15

1       percent screen has been keyed to expedited interconnection  
2       of over 100,000 generating facilities in California, without  
3       compromising safety or reliability.

4               They added a second penetration threshold to  
5       supplemental review, and I'll go ahead and read the text  
6       from the rule. It asks "Where 12 months of line section  
7       minimum load data is available, can be calculated, can be  
8       estimated from existing data, or determined from a power  
9       flow model, is the aggregate generating facility capacity on  
10      the line section less than 100 percent of minimum load for  
11      all line sections bounded by automatic sectionalizing  
12      devices upstream of the generating facility?" It's in the  
13      written materials.

14             This is a national first, and in California, if  
15      it is ultimately approved by the CPUC, we and the settling  
16      parties anticipate that it will permit expedited  
17      interconnection of generating facilities that would  
18      otherwise have been placed in a detailed study process.

19             The second major change was made by the settling  
20      parties, in order to aid in managing the number of  
21      generators applying to Fast Track in the first place. The  
22      settling parties agreed on certain size limits for exporting  
23      facilities. Those range from 1.5 megawatts to 3 megawatts  
24      in the different utility service territories.

25             I want to mention that the settling parties also

1 proposed a number of transparency and predictability-related  
2 reforms, many of them drawn from the SGIP, which Rule 21 was  
3 lacking, and which they felt were essential alongside the  
4 new screening process to making the tariff actually  
5 functional.

6 The CPUC has not yet acted on the proposed  
7 settlement, and so these modifications are not yet part of  
8 the approved tariff, and in addition, we do anticipate that  
9 a Phase 2 of the rulemaking will open, once the CPUC acts on  
10 this first Phase 1 proposal, with potential further  
11 modifications to the tariff, focusing on cost allocation  
12 policy and technical operating standards.

13 If the CPUC does approve the settlement, the  
14 parties anticipate that the interconnection standards in  
15 California will catch up to today's forms of procurement,  
16 and support both procurement and interconnection policy  
17 goals, which is something that grown out of whack over the  
18 last several years.

19 So in that vein, I hope that the reforms proposed  
20 in California offer a model for a regulatory approach for  
21 federal interconnection standards, if the needs due to  
22 rising application levels and rising penetration levels are  
23 becoming as acute as has been California's experience.  
24 Thank you again for the opportunity to speak.

25 MS. KERR: Thank you, Rachel. Before we begin

1       our discussion, I would just like to ask if you want to  
2       speak, put your table tent up so that I know that you want  
3       to speak, for both staff and panelists.

4               I'll start off with a question that some of you  
5       may have touched on. What are the implications, in terms of  
6       cost in time to a small generator, of going through a full  
7       study process versus the Fast Track process, either because  
8       it's larger than two megawatts or because it fails the Fast  
9       Track screens? Sure, Mr. Singh.

10              MR. SINGH: I'm just going to refer to SEIA's  
11       response to comments on the petition. So you asked a simple  
12       question on its face. Unfortunately, the response is very  
13       complicated. We've heard every system is different, so on  
14       and so forth. Well unfortunately, it seems like every  
15       utility process is different.

16              In the distribution realm, I mean obviously on  
17       transmission there's, I think, greater transparency on the  
18       transmission interconnection process across the country.  
19       What we're seeing, and this is partly due to the fact that  
20       this is a new market, and everybody's dealing with this as a  
21       new thing. So we definitely understand that.

22              But what we see, when you ask about cost, in the  
23       comments that SEIA provided, I'll actually refer to a  
24       SunPower statement, that for one, certain utilities are  
25       using the 15 percent criteria as a hard limit to arbitrarily

1 control interconnection capacity on certain wholesale  
2 projects.

3           Once the amount of proposed solar generation  
4 exceeds 15 percent, all additional projects, be they  
5 wholesale or retail, are getting rejected by certain  
6 utilities. So I don't know what the cost is of that, if the  
7 cost is infinite or in a sense, the utilities are saying the  
8 cost is infinite.

9           Other utilities that have closed off certain  
10 selected circuits to interconnection have been unwilling to  
11 present their criteria, or to set up a transparent process  
12 for reviewing decisions being made to use the 15 percent  
13 screen as an absolute limit.

14           I'll reference, SEIA referencing Sun Edison,  
15 which said that they have four projects with a total  
16 capacity of 6.2 megawatts that failed the 15 percent screen,  
17 but then they had to go through a full two-year study  
18 process for a 6.2 megawatt suite of projects. So the cost  
19 to a developer is either excessive time, or just being told  
20 no in some of these examples.

21           So I wanted to emphasize that. Every utility has  
22 their own process, but we're seeing the 15 percent screen as  
23 presenting frankly unbearable hurdles for getting projects  
24 done, which is one of the reasons why we need to see a  
25 change in the overall screen.

1                   Now if there was a clear process for a  
2                   supplemental study, that was frankly concomitant with the  
3                   real impacts that these projects can trigger. There might  
4                   be greater comfort, but the fact is that it's triggering  
5                   some of these, some hard to understand processes that take a  
6                   lot of time, or we're just being told no. So --

7                   MS. KERR: Okay. Mr. Roughan.

8                   MR. ROUGHAN: Yeah. So in terms of the Fast  
9                   Track versus the study process, there's obviously typically  
10                  in most utilities some sort of impact study fee. Those fees  
11                  range from a few thousand to fifty plus thousand based on,  
12                  you know, how big the project is. Because you go through  
13                  the estimate of what it's going to take actually to look at  
14                  the particular project.

15                 As Virinder mentioned, you know, this is new for  
16                 a lot of us, in terms of getting the multiple megawatt  
17                 projects. They didn't exist just two years ago, for most of  
18                 us, and so we are learning as to how to do them better going  
19                 forward. But ultimately, where the utility is has, I would  
20                 think in most cases, if not all cases, has reliability  
21                 standards they're penalized by their state regulators on.

22                 It's very important that the utilities do take a  
23                 conservative look at what they do need to do. As the  
24                 utilities become more comfortable with the screens and  
25                 understand more that they aren't impacting the reliability

1 and other issues, then they will learn from that and are  
2 learning from that going forward.

3 I think the real issue here is just simply the  
4 massive volume of solar projects, you know, prompted by the  
5 subsidies and also prompted frankly by the base cost of the  
6 systems and panel costs have dropped dramatically in two or  
7 three years. And also what we're seeing is a lot of  
8 developers are new to this market as well. So they're just  
9 learning the processes as well.

10 In terms of a three, four, five megawatt project  
11 that, you know, will cost 10 to 20 to 30 million dollars to  
12 install, you know, a 20 or 30 thousand dollar study that  
13 takes somewhere, depending on the utility and the amount of  
14 volume they have, four to six months to complete, is a small  
15 price to pay on the larger system and the reliability  
16 required by the state regulators, by our customers.

17 I mean we just went through a very serious  
18 scenario down here just a few weeks ago, and people get  
19 very, very upset about reliability. It's the utility who  
20 pays for poor reliability.

21 So the need for the studies is there. Over time,  
22 I can imagine as folks get more comfortable with the screens  
23 and see that they are working, they could pursue those. But  
24 at least for our experience, we clearly detail what we're  
25 doing. We try to give as best a time estimate as we can.



1                   Unfortunately, with the volume of projects, it  
2                   does affect that. You know, what folks also need to  
3                   recognize there's a dearth of experience, utility and  
4                   outside consultants and contractors who understand how to  
5                   deal with multiple megawatt projects on local 13 kV  
6                   distribution.

7                   We're slowly building up that talent pool again,  
8                   but it just frankly didn't exist up until a few years ago.  
9                   So there was a period of time as the industry has to react,  
10                  to get the talent in place, to be able to do these in a  
11                  quicker fashion.

12                  You know, we talked about the seasoned folks who  
13                  do utility reviews. None of those folks ever dealt with a  
14                  multiple megawatt intermittent project on local  
15                  distribution. They've dealt with multiple megawatt combined  
16                  heat power projects; they dealt with transmission  
17                  interconnections.

18                  But the reality is this is a new animal that  
19                  we're facing. It's a significant challenge that we're  
20                  taking on head on, and are very interested to get these  
21                  done.

22                  We want these done as quickly as possible as  
23                  well, to free our people up for other work. There's lots of  
24                  other work the utilities still do every day, beyond  
25                  interconnection DG, but are interested in streamlining the

1 process over time.

2 MS. KERR: Okay, thank you. Mr. Carranza.

3 MR. CARRANZA: Thank you for your comments, Tim.  
4 I really agree with what you were saying. But I want to add  
5 a couple of things here. I think there's a dual  
6 responsibility not only on the part of the utilities, but  
7 also of developers. In California, we've taken the step to  
8 put maps of our system on a website, where developers can go  
9 and look at the capacity of particular circuits, available  
10 capacity for connecting distributed generation on our  
11 circuits.

12 Many times developers will submit projects that  
13 exceed the capacity of a circuit where they want to  
14 interconnect. Many times, they're interconnecting out in  
15 our rural areas, where the capacity of our circuits is  
16 either limited, or the system is weak by design, because  
17 there hasn't been very much load out there.

18 So my point is we need to work together. We  
19 can't make capacity available that's not available. You  
20 need to work with us in order to be able to get your studies  
21 done quicker too.

22 MS. KERR: Okay. Mr. Steffel.

23 MR. STEFFEL: A quick follow-up. When you say  
24 you post the capacity that's available, is there any simple  
25 insight into what that capacity number is based on? Is it

1 based on the 15 percent screen, for instance?

2 MR. CARRANZA: We put two numbers together. We  
3 basically post the maximum rating of a particular feeder,  
4 and we also post the minimum capacity which is the 15  
5 percent of load, peak load on that feeder.

6 MS. KERR: Another follow-up for Ms. Peterson. I  
7 understand through Rule 21 there will be an additional  
8 report that will be available to developers. Will that have  
9 more information than the maps currently have?

10 MS. PETERSON: Yes. You're referring to  
11 something called the pre-application report. So it's a new  
12 report that the settling parties proposed. It is intended  
13 to work similar to what Mr. Carranza was just referring to.  
14 You can pay \$300 and get a first look from the utility about  
15 your proposed point of interconnection.

16 It is limited to data that already exists, say  
17 technical data about the distribution system where you're  
18 looking to locate, as well as existing peak load levels.  
19 Any data that they do not have to calculate or measure or  
20 conduct some form of analysis for. But it would provide  
21 more information than the interconnection capacity maps,  
22 yes.

23 MS. KERR: And it sounds like it's fairly  
24 localized for a specific area?

25 MS. PETERSON: It's driven by -- your report is

1       what you request for your point of interconnection.  If you  
2       look at the maps, you begin to see broader areas,  
3       surrounding substations, particular electrical areas where  
4       the three investor-owned utilities in California have  
5       identified capacity levels.

6               MS. KERR:  Okay.  Mr. Steffel.

7               MR. STEFFEL:  Although we can't comment for other  
8       utilities, our utility actually does a static load flow  
9       screen, to determine whether something would need to go on  
10      for study.  So sometimes we can approve connections of  
11      systems that would fail the FERC screens, based on our  
12      internal study.

13              Right now, we use a third party vendor to do the  
14      studies.  It's usually between 20 and 30 thousand.  Depends  
15      how complex it is.  Takes generally up to eight weeks.  
16      Sometimes it is a little more, sometimes a little less.

17              I think one of the challenges, just like Tim had  
18      mentioned, is we found that third party vendors even had to  
19      be coached on making sure they got things right, and so the  
20      talent and the skills are really being developed for doing  
21      the studies correctly.

22              If you get the study wrong, you're going to have  
23      a problem on your hands, possibly for a long period of time.  
24      And, you know, it only takes one system to go in to cause  
25      problems for a long period of time for a lot of customers.

1 So that is a significant factor.

2 But we do, anything we can do internally we do,  
3 and we don't send anything out. We do that for free for all  
4 the developers. That is within generally just a few days,  
5 within that 15-day period. So very few of them percent-wise  
6 go out for the detailed study.

7 MS. KERR: So some folks have already addressed  
8 this, but just to make sure we have a clear picture of it.  
9 We're interested in whether there are regions or locations  
10 where it's difficult for small generators to take advantage  
11 of the Fast Track process due to the 15 percent screen.  
12 We've mentioned, some of you have mentioned states, but  
13 we're also interested in different parts of utility systems.  
14 If anyone can address that.

15 MR. ROUGHAN: As I mentioned, you know, many,  
16 most, I should say, of the projects we're currently seeing  
17 developed in Mass and Rhode Island, are on the fringes of  
18 our electric distribution system, because that's where the  
19 land is available, that's where it's, you know, economically  
20 feasible for the developer to pursue the projects.

21 And you know, when you're on the tail end of the  
22 system, A, there's not a lot of load that's required, that  
23 was required to be served. So now you have to upgrade the  
24 whole system. You know, a lot of places you've got single  
25 phase or three phase extensions that have to be built.

1 You've got different substation modifications or recloser  
2 modifications on those circuits, systems that simply don't  
3 play well with a simple screen.

4 You really do need to do the analysis as to how  
5 that's going to interact, because in many of those  
6 locations, on a beautiful late May afternoon with max solar  
7 output and minimum load in the area, you've going to have  
8 export up to the transmission system through the local  
9 substation.

10 We're seeing more and more of that as time goes  
11 on, and again, it can be dealt with. We study them. We  
12 interconnect these projects. They go online, but there is  
13 that needed piece that has to be done, of the study and  
14 typically extensive construction. But then we can get these  
15 projects online.

16 There's really no reason a project can't be  
17 interconnected. It's just simply sometimes takes time and  
18 money, and ultimately, things like having maps or pre-  
19 application reports that lots of us do will guide that  
20 developer. One of the really curious things we've seen  
21 since the state subsidies went into effect in New England is  
22 that up until a couple of years, virtually anyone who was  
23 going to interconnect to the utility called us prior to  
24 sending in the application, and wanted to know what the  
25 issue was, an initial kind of discussion.

1           Since the changes in the subsidies, that vary in  
2 nature, these projects are just coming in. For a while,  
3 they were coming in a clip of five to 20 megawatts a week to  
4 our interconnection folks in Massachusetts. Well, you  
5 didn't even know that they were -- they hadn't called us.  
6 They hadn't asked for anything to look at first. They were  
7 just coming in the door.

8           Then when we did review them, we said "oh lookit,  
9 we've got some issues here and what-not." We have  
10 developers fighting for the same parts of land in certain  
11 cities and towns. That's always a challenge, who owns the  
12 property, who's got the rights to do it.

13           So there's a lot to this, and I think as both the  
14 developer and the utility communities mature as to how to  
15 deal with these, I think we'll be over this issue that  
16 temporarily -- that I believe is simply a temporary issue  
17 that we'll be able to work our way through.

18           MS. KERR: Mr. Lennox.

19           MR. LENOX: Yeah. I wanted to comment that it's  
20 important to just keep in mind that what we're talking about  
21 here is that the 15 percent screen is often being used as a  
22 ceiling, as opposed to being used as a floor, and that  
23 significant reform in the Rule 21 settlement is a use of  
24 that screen as a Fast Track floor in essence, and then  
25 defining a set of screens that give a lot more -- give a lot

1 more structure to what happens to a project that does not  
2 pass that 15 percent of peak load screen, and provides a  
3 method of getting projects online that's defined, as opposed  
4 to status quo, which is undefined.

5 That's really what we're talking about here. So  
6 when we talk about what the cost is, the cost is going from  
7 a defined process to an undefined, open-ended, in terms of  
8 cost and time frame, process. That's the pain.

9 MS. KERR: Okay, thank you. Mr. Carranza.

10 MR. CARRANZA: I think we've got to be careful  
11 with the 15 percent screen and making it the floor, because  
12 there are many circuits that potentially can't even accept  
13 15 percent penetration, and making it the floor may impact  
14 reliability in the operation of a particular situation.

15 MS. KERR: Ms. Peterson.

16 MS. PETERSON: Yeah. So you asked whether there  
17 are regions or locations where it's difficult for developers  
18 to take advantage of the 15 percent screen, and I think both  
19 of the prior folks who just spoke are both right. The 15  
20 percent screen is one of a number of questions that are  
21 asked during the Fast Track process.

22 A number of others deal with other technical  
23 issues, such as short circuit current contribution, short  
24 circuit interrupting capability, the line configuration.

25 So whether the 15 percent screen alone is barring



1 an applicant from interconnecting at a particular site may  
2 not be always the complete answer. There might be, as the  
3 utility works through the Fast Track questions, other  
4 technical issues that prevent it from coming online.

5 So although this panel is focused on the 15  
6 percent screen and the new potential backup to it, there are  
7 technical issues at the same time. Right alongside that is  
8 the question of writing out, is the matter of writing out  
9 specifically what those questions are.

10 I'm using our Rule 21 new proposed framework as a  
11 cheat sheet here. But the point is for transparency and  
12 predictability, as Mr. Lenox just said, the point is to  
13 write the questions down, so that developers know exactly  
14 what's being asked and what the technical issues are that  
15 could send their project from initial review to supplemental  
16 review, and then potentially from supplemental review into  
17 detailed study.

18 MS. KERR: Mr. Carranza.

19 MR. CARRANZA: Yeah. I just want to take  
20 Rachel's point and clarify or add that in addition to the  
21 penetration screen that's put in place, we also have got to  
22 be considerate of the reliability and power quality screens  
23 that look at the 100 percent penetration issue on a line  
24 section.

25 So we've got to be considerate of that when we're

1       considering, you know, exceeding the 15 percent limit or the  
2       two megawatt limit.

3               MS. KERR: So just to follow up, you had said  
4       earlier that there are some locations that can't even go up  
5       to 15 percent.

6               MR. CARRANZA: Uh-huh.

7               MS. KERR: Are those, are there technical issues  
8       that you're referring to?

9               (Laughter.)

10              MR. CARRANZA: Location of the interconnection is  
11       very critical. If you are interconnecting close to a  
12       substation, where we have plenty of capacity, many times  
13       it's not an issue. If you are connecting your project 15  
14       miles out, away from the substation, where we have small  
15       wire, the size becomes really critical of your  
16       interconnection project.

17              If it's 100 kW, we may be able to accept it. If  
18       it's one megawatt, I can tell you it's going to be  
19       difficult.

20              MS. KERR: Okay, thank you. Mr. Triplett.

21              MR. TRIPLETT: Thank you. I'd like to thank Ms.  
22       Peterson for her comments, because we're talking about the  
23       one screen here, the 15 percent penetration screen.

24              But in reality, we really ought to be looking at  
25       all the screens, because it's not just the 15 percent screen

1 that triggers these studies. I'll speak from a little  
2 different perspective representing the Rural Electric  
3 Cooperatives. All of our systems are rural.

4 Very long lines, smaller wire, higher impedance  
5 systems, by design to just service the load that's required.  
6 So the 15 percent screen for a rural electric cooperative is  
7 not the only screen that gets triggered very regularly.

8 So there are, as has been mentioned by several  
9 other utilities here, a number of technical issues that come  
10 about with these smaller systems, that are very rural long  
11 lines that have to be addressed. So we really need to be  
12 thinking about the whole process, not just one screen.

13 MS. KERR: Mr. Coddington.

14 MR. CODDINGTON: Thank you. I just wanted to  
15 address a number of the comments that have been made over  
16 the last few minutes regarding some of the examples of  
17 circuits where even penetration levels lower than 15 percent  
18 present trouble. I agree, that that's certainly a  
19 possibility.

20 I think that actually highlights one of the  
21 reasons why using actual, minimum daytime load data is more  
22 beneficial than estimating it based on 15 percent of peak  
23 data. I mean I think that actually spells out a really good  
24 reason if the data is available, if that information can be  
25 measured or estimated, but that is a more useful number.

1                   And certainly there are issues with location  
2                   which create other constraints. Some of the more rural  
3                   circuits are certainly good examples of where trouble may  
4                   lie. But again, if you use 15 percent of the minimum  
5                   daytime load of a line section, some of these problems, I  
6                   would hope, would be mitigated before they come about.

7                   Because the utilities are right. They're the  
8                   ones responsible when troubles come down the road, and we do  
9                   need to maintain a safe, reliable and cost-effective  
10                  electric system, and that's clearly the lifeblood of our  
11                  economy. So we want to maintain that.

12                  Again, I'd just reiterate that using actual  
13                  minimum daytime load data seems like a better way to sharpen  
14                  our pencil, and rather than estimating this, because  
15                  effectively 15 percent is just estimating a portion of what  
16                  minimum daytime load is. Thank you.

17                  MS. KERR: Arnie?

18                  MR. QUINN: Just to follow up on that. So I  
19                  think we heard that, from Mr. Carranza, that potentially the  
20                  15 percent screen doesn't work for all situations, and  
21                  you've, Mr. Coddington, indicated that potentially that's  
22                  because of the screen being based on something other than  
23                  actual minimum load data.

24                  Is that, do people agree that that's the primary  
25                  issue, or are there other parts of the Fast Track process,

1 other parts of the screen process that are also not kind of  
2 working well, that would lead to 15 percent being the wrong  
3 number for some feeders?

4 Maybe I'll put it a different way. If something  
5 gets through the 15 percent screen, why isn't it failing one  
6 of the other Fast Track screens, to identify that that area  
7 or that location isn't a good Fast Track location?

8 MR. CODDINGTON: If I could make one comment, and  
9 I think that's a great question. What I think we've heard  
10 are several anecdotal cases of where the 15 percent screen  
11 failed, and as one example, I think Mr. Steffel mentioned  
12 that they had, they used the 15 percent, and they actually  
13 had reverse power flow anyway, and that they had high  
14 voltage, which resulted in customer equipment being damaged,  
15 which is certainly a concern for all utilities.

16 I think again in these anecdotal examples that  
17 were given, had the utility looked at that minimum daytime  
18 load, at least in these examples, that may have actually  
19 failed that screen, and gone on for supplemental review, and  
20 that system may not have been allowed, or they may have been  
21 mitigating measures, like reverse, you know, bidirectional  
22 voltage regulation, which is available, might have been  
23 deployed.

24 But in the case of just using this 15 percent  
25 screen, at least in the examples we've heard, the utility

1 had some problems. So I guess I would just submit that  
2 there are examples where the 15 percent screen doesn't  
3 really do the job that it needs to, but in most cases, it's  
4 probably catching systems that need to go on for  
5 supplemental review.

6 MS. KERR: Okay. Mr. Carranza and then Mr.  
7 Sheehan.

8 MR. CARRANZA: Just let me add, again, that the  
9 100 percent minimum load of line section is not available  
10 all the time. So we fall back to the 15 percent rule. So  
11 that may have been the situation here that we're discussing.

12 In addition, there are other ways to get into the  
13 supplemental review. NEM also can go down in that  
14 direction, which came past all the rules eventually, and get  
15 into supplemental. But let me add one more thing.

16 As I mentioned in my opening statements, we may  
17 have load today in a particular section. But over time,  
18 load may change. A particular customer may shut down their  
19 business and load disappears. The 15 percent may allow  
20 generation to be attached at the time that it was studied.  
21 But when that load disappears, now you get backflow and  
22 potential issues. So that's something you've got to really  
23 be aware of.

24 MR. SHEEHAN: Just a point of reference. I did a  
25 report for solar ABC's, reviewing the FERC SGIP screens with

1 the IEEE members, 1547.6 and .8. We reviewed all the  
2 screens for which ones were problematic and which ones were  
3 of concern.

4 And traditionally, the 15 percent is considered  
5 to be the one that's most, that trips up the most. The  
6 other one is a line configuration one. There's a lot of  
7 issues related to subtransmission, which we have not really  
8 talked about this panel.

9 But I think that's a discussion, ripe for this  
10 discussion, especially the way Southern California runs its  
11 system and the subtransmission, the way it's networked  
12 versus the way it could be a radial subtransmission.

13 So there's other issues that are on the table,  
14 that sort of need to be looked at, that are beyond this 15  
15 percent screen. So if you -- we think it's open for a  
16 bigger discussion. But this discussion this morning was  
17 just on the 15 percent screen, and I want to make sure that  
18 everybody understands there are a lot of other screens or  
19 need to update that.

20 The original 2005 order suggested every two years  
21 that this be revisited, and this has not been revisited  
22 since the 2005 order. So I think it's important to  
23 recognize other screens do trip up, but the one that's the  
24 most sort of common is the 15 percent.

25 MS. KERR: Tom.

1                   MR. DAUTEL: In cases where load changes, is  
2 there someone who can help me understand what happens after  
3 that happens? Is additional equipment put in? Is the  
4 interconnection impacted or what's the scenario?

5                   MS. KERR: Mr. Carranza.

6                   MR. CARRANZA: Potentially, the utilities have to  
7 fix the problem. We may need to reconductor, we may need to  
8 employ several different strategies to fix the problem.

9                   MS. KERR: And I assume the problem would be the  
10 same, whether you've used a 15 percent screen or 100 percent  
11 minimum screen?

12                  MR. CARRANZA: That's right.

13                  MS. KERR: Okay.

14                  MR. DAUTEL: And real quick, do you usually know  
15 about it ahead of time, because there's a load that's  
16 dropped of that you're aware of, or is it more kind of you  
17 notice the effects of it?

18                  MR. CARRANZA: It depends, it depends. Sometimes  
19 we're aware of it and sometimes we become aware of it,  
20 because our customers begin complaining of potential issues,  
21 or issues that they're seeing with reliability.

22                  MS. KERR: Okay. Mr. Coddington, I think you've  
23 had yours up the longest.

24                  MR. CODDINGTON: Thank you. I've got just a  
25 couple of comments, and I think one addressed yours, Tom,



1 and my own experience of 20 years in the utility business,  
2 in that load data is historical. So you look at load data  
3 and there is no guarantee that that is what a feeder or a  
4 line section is going to do.

5 As a matter of fact, you're pretty much  
6 guaranteed it's going to be different than that historical  
7 profile. I think the utilities use it. It's the best tool  
8 you can to estimate what the future may be.

9 But it's an excellent question, and it's a  
10 concern that I share with the utilities here, that if load  
11 goes away and that presents a problem, that is on the  
12 utility's shoulders.

13 But I would say I just wanted to address another  
14 comment. This comes up pretty regularly. But there was a  
15 comment that the load data on a line section for minimum  
16 load is not available, or it's just load data on a line  
17 section, period, is not available.

18 So my question is well then how do you come up  
19 with a 15 percent of that line section? I mean there are  
20 ways to estimate it. There are ways to measure it. I'm  
21 saying there are ways to do it, but the comment came up that  
22 that load data at a line section is not available.

23 Clearly, it must be available, at least to  
24 determine what that peak number is, so that you can take 15  
25 percent of peak. So I would just challenge that assertion,

1       that the data's not available or somehow, there's no way to  
2       estimate that.

3               MS. KERR: Yeah. Along those lines, I had a  
4       follow-up question for Mr. Sheehan. You had mentioned that  
5       SMUD is doing something that sounded different, I guess,  
6       than what other utilities are doing, the measurement of  
7       minimum load.

8               MR. SHEEHAN: I wouldn't say it's different, in a  
9       sense. But I'm saying they've already gone to the 100  
10      percent of minimum load threshold already. So not very many  
11      utilities have gone that direction yet. So they're already  
12      at that level.

13              But one of their practices that they do is to put  
14      out a meter on the line, to measure kind of the affected  
15      area that they think is going to happen, and they download  
16      that data and estimate what they think should have been the  
17      load, based on their calculations.

18              So they do a calibration between the estimated  
19      and as Michael Coddington pointed out, the real load that's  
20      going on on the system. So they're measuring those two to  
21      see how close they are, and get more confidence and more  
22      sense of the lower their risk level and threat to going  
23      backfeeding or having a problem.

24              Again, I think this issue of backfeeding is  
25      really the loss of voltage control is what the utilities are

1 concerned about.

2 MS. KERR: Okay. If the other three folks who  
3 have their name tags up could real quickly address this, and  
4 then we'll move on. Mr. Roughan.

5 MR. ROUGHAN: Uh yeah. I wasn't going to talk to  
6 that.

7 COURT REPORTER: Your microphone.

8 MR. ROUGHAN: Oh, I'm sorry. It was more of the  
9 fact that, you know, once you've agreed to a minimum load,  
10 you've completely lost all your flexibility for  
11 rearrangement of the circuits. You know, even though many  
12 states have goals to reduce load growth to zero through  
13 efficiency programs and everything else, the reality is  
14 everyone likes their gadgets. Load continues to grow.

15 So when you go to put a new substation in,  
16 typically what you're doing is you're offloading different  
17 circuits around, because now you have new source to serve  
18 the load.

19 So once you're stuck with a minimum load number,  
20 you're stuck. You can't rearrange it anymore. You now  
21 don't have the flexibility on your system, both during  
22 planned upgrades, which is a new substation, and during  
23 unplanned storms and reliability considerations.

24 I mean as mentioned by Jeff prior, we strive to  
25 only load our systems to 50 to 60 percent of the circuit

1 rating, so that we can move loads around during outage  
2 conditions, so we get as many people back as possible.

3 So when you now set up that on that circuit, you  
4 need X megawatts of minimum load because you've allowed so  
5 much solar on it, you're stuck with it going forward.

6 That's the concern about the future flexibility,  
7 and frankly the cost of the distribution system, because  
8 once you're stuck, as Jose mentioned, you've got to  
9 reconduct, you've got to do this, you've got to do that.  
10 Because once the system's online, you have very limited  
11 ability to require, and in many cases no ability to require  
12 that end use customer, developer or solar farm owner, to pay  
13 for any changes or upgrades at that point.

14 Because they're online, they've signed an  
15 agreement with you. You've agreed that they can run the way  
16 they are. So going back asking them for additional funds to  
17 do something different is just not -- just doesn't occur.

18 MS. KERR: Would having additional DG,  
19 distributed generation on a line in some ways give you  
20 flexibility?

21 MR. ROUGHAN: Well, there's two problems with --  
22 well, you know, also in many cases, unless it's a multiple  
23 megawatt project, we have records on our GIS of all the  
24 generation and nameplate ratings. But what we don't have  
25 any transparency to is how much of the DG was actually

1 operating during that peak hour that we saw either the peak  
2 load or the minimum load.

3 So we have no -- all's we're seeing at that  
4 breaker or substation or recloser online is the net power  
5 flow through that device. We have no idea, unless we have  
6 larger projects where we have to have control and equipment  
7 to understand what it's doing, because it's so large.

8 We may know that nameplate rating is 1-1/2  
9 megawatts on that circuit, besides the three megawatts of  
10 large projects. But we have no concept, from a transparency  
11 perspective, how much of the 1-1/2 megawatts is actually  
12 still operating.

13 We can see what the big project is doing at our  
14 peak or minimum, but we don't have any transparency into  
15 what those individual units are.

16 I mean as we all move into the advanced meters  
17 and Smart Grid and all the rest, we will get that  
18 transparency. But most of us simply don't have that today  
19 to understand that. So that's the other difficulty of using  
20 simply a peak load or a minimum load value, is that you  
21 don't -- it's a net power number. It's not -- it's the load  
22 on the circuit less any generation that's actually running  
23 at that particular hour.

24 MS. KERR: Thank you. Is to a good time for you  
25 to follow-up? Okay. Mr. Steffel.

1                   MR. STEFFEL: Okay. I'll try to move through  
2 quickly.

3                   COURT REPORTER: Microphone.

4                   MR. STEFFEL: Oh. You asked a question about  
5 where could the 15 percent screen fail. I think we've given  
6 an example, plus mentioned other types of circuits with load  
7 profile anomalies. Now that's the very, you know, that's  
8 rare, but it does occur.

9                   One of the issues is protective zones versus  
10 voltage regulation zones, and at the beginning of the  
11 voltage regulation zone, you're going to have a voltage  
12 regulator. Not all of them are reversible; some of them are  
13 older and we'd have to change if you're going to have  
14 reverse flow.

15                  Number two, even if they are reversible, if  
16 they're not set correctly, they can also operate  
17 incorrectly. So you can have something meet the 15 percent  
18 criteria for a protection zone, but not a voltage regulation  
19 zone.

20                  If you look in the material, you know, we gave  
21 you, there is four voltage regulation zones on the rural  
22 feeder that I mentioned had a 3.3 percent minimum hosting  
23 capacity. So what did we do in that case, where we had that  
24 problem? We had to reconfigure the circuit and the  
25 substation.

1           So just like Tim mention, that does limit our  
2           ability to reconfigure again. We've now reconfigured to  
3           handle that problem.

4           Another impact is on distribution automation, and  
5           this is where we're developing automatic sectionalizing and  
6           restoration schemes across the board.

7           We have some circuits that have three megawatts  
8           of PV, and what happens when you have a fault? PV  
9           disappears. That was three megawatts, and our system  
10          thought that the load was three megawatts less on an  
11          automatic scheme.

12          But then when it picks up the load, there's three  
13          more megawatts, and then five minutes later, there's three  
14          less megawatts. So the voltage regulation and everything  
15          changes. We've actually had to block some schemes. So does  
16          it impact reliability? Yes. I mean that's a clear  
17          indication.

18          On load data, new systems that went in since the  
19          reading that you had of your load measurement, whether it's  
20          minimum or peak or whatever, effect it. The contribution  
21          that the systems, that were on the system, and Tim mentioned  
22          that to the load reading.

23          I mean it could be that you had a cloudy day, the  
24          day of your minimum load or peak load or whatever, or it  
25          might have been a clear day, and then maybe the systems are

1       deteriorating or not online. Then you've got pending  
2       systems that you've got to also account for, even if you do  
3       look at these load measurements that you have.

4               Then there has to be a buffer for inaccuracies.  
5       You've got load imbalance, you've got phase imbalances and  
6       other types of things that are going to trigger things on  
7       the circuit. So you can't just go up to 100 percent minimum  
8       load and think that's a great screen. There has to be a  
9       buffer, or else you're going to still end up with a lot of  
10      problems.

11              MS. KERR: Okay. That's a good segue to our next  
12      question. So we've heard from SEIA and other commenters  
13      that the 15 percent screen's a problem. We've heard from  
14      some of the panelists today that 100 percent minimum load  
15      screen may be a problem.

16              Are there other things we should look at? If  
17      there are problems with both of those, are there  
18      alternatives that we should consider, to keeping people,  
19      generators in the Fast Track process? Oh, Mr. Triplett.

20              MR. TRIPLETT: Well, I think that's a great  
21      question, and that's ultimately the question of the day. I  
22      think that there are things that should be considered, and  
23      as I mentioned earlier, there are working groups that are  
24      considering these things right now, the 1547 working groups.

25              Those working groups are comprised not only of



1 representatives from the utility industry, but also  
2 representatives from the manufacturers of equipment that are  
3 interconnecting with distribution systems, and the  
4 developers and the generation interconnectors themselves.

5 I think that's really the appropriate forum where  
6 these things should be discussed, from a technical nature.  
7 How effective are the existing screens, and what can be done  
8 to make them more effective?

9 At the end of the day, most generation  
10 interconnection requests can be accommodated. It's just a  
11 matter of does a study need to be done? Does there need to  
12 be any mitigation techniques to accommodate that, or can it  
13 just be done, reasonably assured that there will be no  
14 safety and reliability concerns to a Fast Track process.

15 So I think those working groups, in my opinion,  
16 the stakeholders should consider allowing that process to go  
17 through and answer those questions exactly.

18 MS. KERR: Thank you. Ms. Peterson.

19 MS. PETERSON: Having been through eight months  
20 of settlement discussions about the screen and a number of  
21 other issues, I guess I would --

22 I would tout the 100 percent of minimum load  
23 backup screen within supplemental review, with the attendant  
24 means of calculating, measuring, determining, etcetera, as  
25 really one of the best steps forward that can be taken at

1 present, before you get to the much more indepth technical  
2 advances that I believe are coming, and as Mr. Triplett  
3 said, are coming from places like the IEEE 1547 working  
4 group.

5 If an advance is being pursued in terms of  
6 expanding Fast Track, and remaining within a certain zone of  
7 safety and reliability, then I think that these screens,  
8 although they, as everyone notes, they do have their flaws,  
9 are the best present-day step forward. Other long term  
10 approaches are exactly that; they're longer-term.

11 MS. KERR: Thank you. Mr. Sheehan.

12 MR. SHEEHAN: Just to capture that in another  
13 way, we believe that above the 15 percent is really one of  
14 the key issues we want to address, and the supplemental  
15 review, which is already in the FERC 2005 Order, and it's in  
16 Hawaii Rule 14(h) and California Rule 21, that's really the  
17 venue we think is the best, a great approach to sort of get  
18 to the next level, without going through a detailed study  
19 and getting into a lot more.

20 It's again, using utilities basically N, O and P  
21 in Rule 21, the penetration screen, the power and quality,  
22 reliability and voltage fluctuation, the safety and  
23 reliability issues, those issues need to be addressed.

24 Doing it in the supplemental fast process really  
25 addresses, we think, the key issue, that for those projects

1       that you can get through a lot faster, instead of going  
2       through a full study process and getting caught in that full  
3       study process.

4                Because that's the time and in a lot of cases,  
5       that's really where the hang up is. We can get a lot more  
6       of those projects that are closer in, that everybody agrees  
7       can go a lot faster, and doesn't need that full monte study.

8                MS. KERR: Mr. Steffel.

9                MR. STEFFEL: PEPCO Holdings, Inc. is taking  
10       another approach to this, and what we're working on is  
11       acquiring a semi-automated study tool that will operate in a  
12       time series load flow, and can operate quick enough to  
13       respond within the 15 days, so we can actually do this study  
14       in-house.

15               We're moving ahead with it. I mean it promises  
16       to be fast. All the testing we've done indicates that.  
17       Right now, we currently for any system that's over 250 kW,  
18       we do a static load flow anyways. So this would just be an  
19       extension to actually doing a time series that looks  
20       throughout the whole year, and actually pulls in the solar  
21       data.

22               It actually will be a little less conservative to  
23       allow larger systems. It would give back a much more  
24       detailed feedback to us, and actually give us the true  
25       impact on our system. The tool would also continue to look

1 at aggregated type of impacts up and down the T&T system.

2 So it would also incorporate pending, and it  
3 would incorporate things that have gone in. So it  
4 eliminates some of the problems we've mentioned with load  
5 measurements, and trying to adjust them for things that have  
6 come on the system, things that are pending and so on.

7 MR. QUINN: Can I just ask a follow up on the --  
8 it seems that there might be a consensus, that everyone  
9 agrees that some sort of supplemental study should be  
10 allowed.

11 There should be some option for the  
12 interconnection customer to do some sort of supplemental  
13 review if they failed the Fast Track screens, but would  
14 prevent them from having to go through a, you know, full-  
15 blown long, costly study. Is that consensus there? Does  
16 everyone agree with that general principle or statement?

17 MS. KERR: Mr. Singh.

18 MR. SINGH: Yes. I guess --

19 COURT REPORTER: Your mic.

20 MR. SINGH: Sorry. We just don't know what that  
21 supplemental study looks like utility by utility also. So I  
22 don't want to complicate the question, because you asked  
23 what seems like a simple question. It's the Wild West out  
24 there in a sense, and again we're all dealing with the new  
25 market and such.

1           But we do not see consistency across utilities  
2           and how they're treating DG. We do not see consistency in  
3           standards. We do not see consistency in processes. We do  
4           not see consistency in what it actually costs. We do not  
5           see consistency in what we're being asked to do.

6           I understand the leaning towards extreme  
7           conservatism among utility distribution and transmission  
8           engineers. You don't get a bonus, in a sense, by handling  
9           more DG. You just get fired if there's a reliability event.  
10          I understand that. I used to work for a utility.

11          But we have states, New Jersey just passed  
12          legislation that is accelerating its solar mandate. States  
13          want to do solar and there's annual requirements.

14          Study sounds nice, but we're going to wait two  
15          years to come up with revisiting the standard through IEEE,  
16          and then we're going to spend a couple more years with more  
17          study on projects, and states are saying we want solar right  
18          now.

19          There's a real disconnect between the immediacy  
20          of the issue there, based upon what states and their  
21          legislatures and governors have decided what is important,  
22          versus some of the tones of discussion here about let's keep  
23          on studying this.

24          We might be a little more comfortable with some  
25          of that tendency if we understood what the study process

1 was, and all of those other issues that I raised. But  
2 that's not what we're seeing here. So sorry for a little  
3 bit of the opening there also, but you asked a simple  
4 question.

5 We don't know what that study process looks like  
6 utility by utility. So that creates a huge problem.

7 MS. KERR: Mr. Roughan.

8 MR. ROUGHAN: I think we continue to concentrate  
9 on what the utility can and what the utility cannot do, and  
10 I think there is significant responsibility from the solar  
11 community to also help us understand what they can and can't  
12 do. The dilemma we have here is the intermittency of the  
13 projects.

14 On an hour by hour, minute by minute issue with  
15 cloud cover, on a month by month level, just because of the  
16 radiation changes over the course of the year. So we're  
17 being asked to answer a question that doesn't have a simple  
18 answer, and we're being asked to do it through screens and  
19 do it quickly and get these online fast.

20 What I fail to see is the need for a two-way  
21 street here, to have the solar community be able to provide  
22 to the utility some sort of certainty as to what their  
23 project can and cannot do. It's all that the utility needs  
24 to do this because of all these good reasons, but there are  
25 just virtually no quid pro quos from the solar community.

1           For example, if a customer really wants to go  
2 through the Fast Track process, really doesn't want to deal  
3 with detailed review, there's a relatively simple way at  
4 that. There's a relatively simple way if they manage the  
5 input of the solar project to certain levels at certain  
6 times of the year, and we have some control over that, over  
7 the management of the output and the solar array, to make  
8 sure it doesn't impact our system.

9           Then they can live within what they're doing.  
10 There may be certain hours of the year where they have to be  
11 cut back, perhaps in terms of output. But again, really  
12 what's not happening is any work to try to manage the  
13 intermittency of this resource. If there was additional  
14 work there, and I think that's what Jeff really talks to  
15 this, in terms of what the IEEE working group will and can  
16 do.

17           By bringing up ideas in those types of groups,  
18 they can be vetted and fleshed out as to what works and what  
19 doesn't work. But simply controlling the output of the  
20 solar project for certain hours of the year may well make  
21 these things easier to manage on the utility distribution  
22 system.

23           Putting some responsibility, instead of just  
24 simply having -- the utilities have to absorb whatever they  
25 do whenever they do it.

1                   MS. KERR: I'm curious as to what you're seeing,  
2 Mr. Lenox, if you have a reaction to that, and then I'm also  
3 curious if there is equipment that would make that  
4 relatively easy to do?

5                   MR. LENOX: So my reaction to that is that, you  
6 know, those, I think are options if you're failing screens,  
7 and there's both technical and economic implications to  
8 those measures, those measures that exist. But we don't  
9 want -- and they're evolving over time as technology  
10 advances.

11                   But I think we do need to keep in mind we are  
12 talking about making changes in a relatively short term to  
13 accommodate the very fast growth of the industry, versus the  
14 longer term process that is being driven, the 1547 process  
15 at some more venues. But that is, you know, it's really too  
16 far out to address the issue we're trying to address here.

17                   We do need to have a process so that we can study  
18 these projects in an appropriately expedited fashion, so we  
19 can get technically viable projects online. That's the  
20 bottom line. We're not talking about putting projects  
21 online that are going to significantly impact the  
22 reliability or safety.

23                   That's not what we're trying to do. We're not  
24 trying to degrade the reliability of the utility system. We  
25 have a model here that we are looking at, that accomplishes



1 that. So the question really isn't is there a bunch of  
2 things that the PV industry can do to mitigate this, that or  
3 the other impact.

4 The question is, is there a way for us to decide  
5 that a project is not going to have an impact, in a manner  
6 that is consistent with the reliability, but also consistent  
7 with policy goals and with commercial realities. If we get  
8 outside of that space, then we can start to talk about well,  
9 here we have, here's a project we want to do.

10 It's failed this screen or that screen. What are  
11 the mitigations we can put in place and the solar industry,  
12 I think, in general is very open to having that discussion  
13 and we do have that discussion on a project-by-project  
14 basis.

15 MS. KERR: Thank you. Mr. Sheehan.

16 MR. SHEEHAN: I would like to avoid the  
17 discussion, but since it's been brought up, I think energy  
18 storage is off topic, as far as I'm concerned, for this  
19 discussion here. It clearly is not something that we've  
20 been asked to talk about, because it's beyond --

21 We've really been focused on the time and the  
22 amount of money it costs to do interconnections of greater  
23 than 15 percent. If we get into the issue of storage,  
24 that's well beyond kind of where we want to be at this  
25 today. I just want to take that off the table.

1 MS. KERR: Mr. Roughan.

2 MR. ROUGHAN: Yeah, and I guess I'm not -- (a),  
3 yes equipment is available to -- I mean they've got this  
4 inverter control software that can easily be throttled back  
5 up and down as much, whatever you want to do. That's very  
6 simple to do.

7 So the reality that that can occur, I'm just  
8 suggesting that that be part of the discussion as well,  
9 instead of simply what is the utility's requirements and  
10 what can they do and what can they not do. Where the bulk  
11 of these projects are interconnected is under the  
12 jurisdiction of the state regulatory bodies, who give the  
13 approval for the distribution utilities for their recovery  
14 and for their capital plans every year.

15 We're talking about significantly potentially  
16 impacting those agreements that are either in place or have  
17 been talked about. I mean the planning process for a  
18 utility, we have projects that are planned out three, five,  
19 ten years out that are in-process and being approved now and  
20 pulling together resources for.

21 You know, juggling that and changing that around  
22 because of solar projects could make that much more  
23 inefficient. But it's just another idea here that is, I  
24 think, worthy of a discussion, because ultimately to take  
25 advantage of the fast solar growth, that can and will

1       potentially put reliability at risk, simply by a rule that  
2       says if it passes this, you have to do X, Y and Z, and you  
3       don't have authority to do anything more, I think does risk  
4       reliability in the short term.

5               By managing the process and studying it the way  
6       it needs to be done, we can come up with a much better  
7       process for utilities and for solar developers and for  
8       society as a whole.

9               MS. KERR: Mr. Coddington.

10              MR. CODDINGTON: First, I just want to say that I  
11       think Mr. Roughan brings up an excellent question, although  
12       I think it's really off topic for this question surrounding  
13       screens and 50 percent. But if since the question was  
14       raised, if I could give my own perspective on a couple of  
15       these topics.

16              I think the solar industry and especially the  
17       inverter industry, and along with standards groups and  
18       national labs that have been mentioned today, are working on  
19       many solutions to make these systems more grid-friendly, to  
20       be better utility partners, to behave themselves in a more  
21       traditional way, to act more like utility generation that  
22       has been online for, you know, over 100 years.

23              So I think that we're moving that way, and some  
24       of the standards efforts, especially the IEEE 1547 groups,  
25       are working to find ways to deploy some of these advanced

1 functions that I think really will make our future look much  
2 better in this whole discussion area.

3 I did want to just touch on IEEE 1547. It's been  
4 mentioned a few times, and I'm not really sure that that  
5 group is going to address screens to anyone's satisfaction  
6 for this discussion this morning. But I do believe that the  
7 1547.8 working group will address ways to deploy some of  
8 these advanced functions, to again address Mr. Roughan's  
9 reasonable concerns. Thank you.

10 MS. KERR: Thank?

11 MR. LUONG: I guess I had a question regarding  
12 the IEEE working group. How far does it come out with a  
13 resolution?

14 MR. CODDINGTON: So if I could, since I was  
15 secretary of IEEE 1547.6 for Secondary Networks, a little  
16 off from some of the other working groups. We actually have  
17 a chairman of one of the current working groups in the room  
18 today, Mr. Saint with NRECA, working on 1547.7, which is the  
19 supplemental study group.

20 There's another active standard being developed,  
21 and it's 1547.8, which I think is what most of the  
22 references have been aimed at today. That's really an  
23 advanced, you know, really a focus on higher penetration,  
24 some of the new advanced functions that are being, that are  
25 available today.

1                   But how do we deploy these? How do we act put  
2                   them into use? To answer your question, I think that over  
3                   roughly the next year, that would just be -- no one really  
4                   knows when a standard is going to be completed and  
5                   available. But it looks like, you know, within the next  
6                   year, that 1574.8 should go to ballot, and then hopefully  
7                   within a few months after that it may be voted in as a  
8                   standard.

9                   The standard for interconnection, adopted by FERC  
10                  and many states, 1547, that's the interconnection standard,  
11                  was approved just a few years ago, 2008. But you know,  
12                  there is discussion now about revisiting the interconnection  
13                  standard, and looking at ways to perhaps integrate low  
14                  voltage ride-through, low frequency ride-through.

15                 Those functions are being discussed, as well as  
16                 volt bar control, some of the things that again may make  
17                 this technology more utility-friendly, and to be able to  
18                 mitigate perhaps some of these variability concerns that the  
19                 utilities have raised today. I hope I answered your  
20                 question.

21                 MS. KERR: Okay. We're actually sort of running  
22                 out of time. I'm going to move along a bit. So assuming  
23                 there should be additional review screens in the Fast Track  
24                 process, should these additional review screens be different  
25                 based on the operating characteristics of the different

1 types of generators, and what types of generators should  
2 have different screens? Mr. Coddington.

3 MR. CODDINGTON: If I could just make a short  
4 statement. Yes, I do believe that any kind of technology  
5 with power electronic inverters on the front end should be  
6 treated differently. The engineers in the room know that  
7 traditional generator synchronous machines have greatly  
8 different characteristics.

9 They're of, I would say, greater concern for  
10 interconnecting onto the distribution system, whereas  
11 inverter-based systems generally behave themselves in a much  
12 more predictable way, and are inherently safer in nature.

13 MS. KERR: Ms. Peterson.

14 MS. PETERSON: Yeah. I'll just answer by  
15 identifying some of the policy guiding Rule 21 in  
16 California. The California Public Utilities Commission has  
17 long said that the interconnection tariff, Rule 21, shall be  
18 technology-neutral, and that was the guiding principle that  
19 the settling parties stayed within in developing the reforms  
20 to Rule 21.

21 So as a result, the screens in the Fast Track  
22 process identify the potential different technical issues  
23 that different types of generators might trigger. So a  
24 synchronous generator might trigger a different screen from  
25 an inverter-based generator.

1                   The one place where the settling parties proposed  
2 a slight difference is in the measurement of minimum load  
3 for solar PV in that one screen for 100 percent of minimum  
4 load. The solar PV measurement of minimum load is based on  
5 daytime hours, and for all other forms of generating  
6 technology, it's absolute minimum load.

7                   MS. KERR: Mr. Triplett.

8                   MR. TRIPLETT: You bring up a good point.  
9 Certainly, different types of generation have different  
10 impacts on the system. But I think ultimately, it's not the  
11 type of generation but the impact seen. So I think the  
12 technical screens should still be broad in nature, looking  
13 at things like fault current and impacts on voltage  
14 regulation, rather than specifically saying inverter-based,  
15 induction, synchronous, so on and so forth machines would  
16 have these separate rules.

17                   So I think the rules need to be global, because  
18 ultimately it's the impact on the system. We don't care if  
19 it's an induction machine or an inverter-based machine or a  
20 synchronous machine causing voltage concerns on the system.  
21 We just care that we have voltage concerns on the system.

22                   So the screens should still be based upon the  
23 root concern, not the generation type.

24                   MS. KERR: So if again, assume that a minimum  
25 load screen would be effective as an additional review

1 screen, and by effective, I guess I mean that it would  
2 decrease interconnection costs for distributed generation  
3 without compromising safety and reliability.

4 How would such a load -- how would such a screen  
5 be structured? For example, is 100 percent the appropriate  
6 minimum? In the California process, were other percentages  
7 discussed? Are there other issues based around that  
8 percentage that we should know about?

9 MS. BRYANT: Specifically earlier, Mr. Steffel  
10 said --

11 COURT REPORTER: Microphone, please.

12 MS. BRYANT: It's on. Is it on? Okay. Mr.  
13 Steffel said earlier that you thought the 100 percent  
14 minimum daytime screen was perhaps not good enough, because  
15 there wasn't a built-in buffer. So if that number was  
16 reached, then what would happen at that point, and what  
17 reliability implications would we incur, I guess, if we let  
18 the 100 percent go through.

19 So I guess in addition to the rest of the  
20 panelists, specifically for you, is there a number that's  
21 around 100 percent that you would be comfortable with, or  
22 what sort of buffer numerically or otherwise do you think is  
23 necessary?

24 MR. STEFFEL: Well, the buffer would need to take  
25 into account the inaccuracies of your estimation. It would



1       need to take into account the possibilities of load change  
2       and load profile change. We talked about, you know, the  
3       possibility of industries not working on the weekend, where  
4       they had been running seven days a week.

5                It needs to take into account on balance on  
6       system, which can change. So one of your phases, if it's  
7       going to get the reverse flow on it, may be the minimum load  
8       of that. You've got to make sure you've got the minimum  
9       load phase, not just your average.

10              You've got the operation of the existing PVs in  
11       that section that you've got to account for, and the  
12       variation from year to year, and then you've got -- you've  
13       got to take into account what the pending ones' impact will  
14       be.

15              So the thing, and many utilities aren't  
16       collecting that data right now. So if we do have it  
17       available, we put it, move it down from a whole feeder down  
18       to a section. You've got to take in all those accounts, and  
19       all I'm saying is you need a buffer.

20              You can't just go right up to 100 percent minimum  
21       load, and allow something to go through where you haven't  
22       checked a voltage regulation devices to see if they're going  
23       to have problems in reverse flow and other types of things.  
24       So that's a problem.

25              Then when you have a single feeder on a

1 distribution transformer at a substation, protection folks  
2 would want transfer trip on a system that could actually  
3 backfeed into the transmission system.

4 So there's a number of things that have to be  
5 looked at, and if you go right up to 100 percent of your  
6 minimum load, daytime load, you're just not allowing  
7 yourself a buffer.

8 One of the other things I was going to mention  
9 before is we have almost no control, monitoring or control,  
10 over most of the systems out there. If they're on, we have  
11 to send someone out there if there's a problem to turn them  
12 off. Yes, the very largest ones we do have monitoring and  
13 remote possibility of disconnect.

14 But you know, the vast majority of them are going  
15 to operate until someone actually goes out there. A lot of  
16 times, the places are closed. Nobody's there. They're  
17 operating totally on their own.

18 So you know, if we push everything right to its  
19 limit without any control, and just to give you an example,  
20 the IEEE 1547 recommended that there be monitoring control  
21 at 250 kW and above.

22 Well, at the state levels, we've been restricted.  
23 We can't put anything over, anything that's two megawatts  
24 and below can't have monitoring controls. So you've got a  
25 tremendous amount of the solar out there has no control from

1 any central point. So you have to consider all that when you  
2 make these screens and go right up to certain limits.

3 MS. KERR: Mr. Coddington.

4 MR. CODDINGTON: Thank you. Just to address that  
5 last comment and make a couple of other statements, IEEE  
6 1547 actually requires provisions for monitoring of systems  
7 over 250 kW, and it's certainly not mandatory. But  
8 provisions need to be in there, and I agree with Mr.  
9 Steffel, that having that kind of monitoring and control  
10 could be very useful for the utility.

11 But there's another assumption that seems to be  
12 inherent, that exceeding 100 percent of that minimum load is  
13 going to be problematic. Indeed, in some cases it may.  
14 There may be high voltage. There may be equipment damage.  
15 But there are certainly systems out there that are designed  
16 to work well over 100 percent of the minimum load on a  
17 distribution feeder.

18 That's the exception, but I just wanted to  
19 clarify that there's no hard and fast ceiling, that 100  
20 percent of minimum daytime load would cause a system to  
21 fail. I'm not recommending it. I'm just saying there are  
22 systems out there and it should be noted.

23 But the question at hand has come up twice. The  
24 question was is there a ratio that would be acceptable, and  
25 I think the two ratios on the table now are what do we have

1       today, and that's 15 percent, which is equivalently 50  
2       percent of minimum load. By the derivation of this whole  
3       process, we're defining 30 percent of peak load as being the  
4       defined minimum, and then you take half of that, 50 percent,  
5       and that's what the utilities are acceptable with today.

6               And then you've got, on the other side, some  
7       utilities in California looking at 100 percent of minimum  
8       daytime load. So I just would assert, for discussion, that  
9       we're somewhere in that range of 50 percent to 100 percent  
10      of minimum daytime load, and that would be, I guess, the  
11      area of discussion to perhaps settle that, or at least to  
12      talk about.

13             MS. KERR: Mr. Steffel.

14             MR. STEFFEL: Yeah. We have no disagreement that  
15      systems can be made to take backfeed, and we have backfeed.  
16      We have backfeed on feeders, we have backfeed on  
17      transformers. But the problem is they need to go through a  
18      detailed study, so that you do the appropriate modifications  
19      to the system.

20             So that's the only thing I'm saying. On a screen  
21      that's going to allow something to go through, you've got to  
22      be really cautious. The screen needs to be conservative. I  
23      mean we can accommodate those things, but you need to do the  
24      detailed study, find out what has to be done to upgrade the  
25      system to handle that.

1 MS. KERR: Thank you. Mr. Carranza.

2 MR. CARRANZA: You've got to be careful when  
3 you're talking about exceeding 100 percent minimum load.  
4 For example, let's say you exceed 100 percent minimum load  
5 in our system on one of our circuits.

6 The topology of our system is such that we have  
7 load tap changers that control the voltage that feed four,  
8 up to eight circuits at a time. You start pushing too much  
9 current back through that bus and out the LTC and into the  
10 transmission, what the LTC or load tap changer does is it  
11 lowers the voltage, thinking that there's lower load on the  
12 system, therefore keeping the voltage within limits.

13 When we start pushing too much current back  
14 through the LTC, back to the transmission, the reliability  
15 issue we experience is low voltage on the circuits that  
16 don't have PV or minimal PV on them. So as you mentioned,  
17 yes it could be, but we've got to be very careful when we're  
18 doing those type of studies.

19 MS. KERR: Mr. Sheehan.

20 MR. SHEEHAN: Thank you. I just want to go  
21 through a typical approach, and I use this "typical,"  
22 because this is -- most utilities use nameplates. So when  
23 they get information from PV developers, they usually use  
24 the DC nameplate.

25 Well that's DC, it's not AC. So there is

1 inherently a buffer in there of 15 to 20 percent, because  
2 that DC rating isn't the same thing as an AC equivalent. So  
3 this issue of being right up that 100 percent minimum load  
4 is something I think you need to be very well aware of.

5 Typically, we went through this discussion  
6 before, and that's why I think the approach that SMUD has  
7 taken was to do the calculation and then do the measurement,  
8 is really kind of what we want to get back to, to give that  
9 comfort level and to understand the risk.

10 This idea that you're going to be running up  
11 against the reliability issues, I think you need to be at  
12 least aware that there are better ways of measuring it and  
13 calculating. Traditionally, U.S. utilities do a lot of  
14 calculations. Europeans do a lot more measurement systems.

15 I think what SMUD has done is tried to measure  
16 the best, or bring together the best of those two practices,  
17 and trying to give some sort of comfort to what they're  
18 doing, because they're pioneering in this whole effort, and  
19 I think we need to be capturing those pioneering efforts.

20 MS. KERR: Ms. Peterson.

21 MS. PETERSON: Yes. I'll just list some of the  
22 additional buffers that are proposed within Rule 21,  
23 alongside the 100 percent minimum load screen.

24 There are two additional screens in supplemental  
25 review related to power quality and voltage fluctuation,

1 allowing the utility engineer the chance to satisfy  
2 themselves that the interconnection of that particular  
3 facility will not exceed some of the limits that are set in  
4 other electric tariffs by the CPUC, for example.

5 Another form of buffer is what it takes to get  
6 into supplemental review. The settling parties raised the  
7 fee for supplemental review from \$600 to \$2,500 and the  
8 tariff allows 20 business days for the utility to complete  
9 the supplemental review process. So all those are forms of  
10 providing the utility engineer the opportunity to assure  
11 themselves that 100 percent of minimum load is a viable  
12 generating capacity limit.

13 MS. KERR: Go ahead.

14 MR. DAUTEL: Real quick, especially as we get  
15 back to the utilities. I don't feel like I have a good  
16 sense for what the utilities' position on Mr. Coddington's  
17 kind of translation of 15 percent screening to a 50 percent  
18 minimum load screen. Do you guys accept that, or are -- do  
19 you have concerns with that kind of logic?

20 MS. KERR: Mr. Roughan.

21 MR. ROUGHAN: Frankly, I think it's a little  
22 premature to suggest that, on a comment by Mr. Coddington a  
23 few minutes ago, whether we can accept it or not. I mean we  
24 do want to review that. I mean it's worth -- it absolutely  
25 is -- he's absolutely correct about the derivation of the 15

1 percent. We all accept that.

2 I think ultimately we really need some time to  
3 kind of think through that, whether that's an acceptable  
4 number or not. I think we'll still run up against what  
5 we're hearing from most of the other parties, that in many  
6 cases, with tens of thousands of line sections, the data,  
7 the measured data is not available.

8 MR. DAUTEL: I mean this assumes data is  
9 available obviously, or that you can get it through some  
10 process.

11 MR. ROUGHAN: Yeah, and again, the reason I'm  
12 just hesitating a tad is my prior statement about the net  
13 power that we're actually seeing at our substation breakers  
14 and reclosers, right? It's a net of the load on the  
15 circuit, less any DG that we don't have monitoring data  
16 available for.

17 As Steve mentioned, New Jersey, they don't know  
18 anything less than two megawatts. They know the nameplate,  
19 they know where it is. But they don't really know if it's  
20 operating or not, and they don't have any detail at the peak  
21 hour of the feeder or the minimum load hour of the feeder,  
22 what that particular generator was doing.

23 I think that's the real key here, is that if we  
24 had all these pieces of information, it would be really  
25 simple. We could say yeah, whatever percent of minimum load



1 is perfect, right. But there's a lot of pieces of  
2 information that just aren't today available, but eventually  
3 will become available to us.

4 MR. DAUTEL: I see what you're saying, but I  
5 don't see why that puts any additional uncertainty into the  
6 minimum load comparison that wasn't already in the  
7 comparison to peak load.

8 MR. ROUGHAN: Well ultimately, even with that 50  
9 percent peak load value, there was always a way the  
10 utilities could look at that and say yes, it's good to go.

11 It made it through the screens, or say because  
12 of, you know, the supplemental screens the California Rule  
13 21 proceeding put together are other screens that utilities  
14 did anyway.

15 Every project, it's not just does it pass the  
16 screen, it's good to go; it's you go through the screens and  
17 then kind of look at what else is there, double-check what  
18 else is really going on in the area, you know, future plans  
19 for abandoning an old substation, future plans for upgrades.

20 There's lots of other things that the planning  
21 engineers are looking at, besides simply was it 14.9 percent  
22 of the screen, or was it 15.1 percent. And I do have to  
23 disagree with the fact that 15 percent is some sort of magic  
24 number that automatically jumps people into a detailed  
25 study.

1           In many cases, there's plenty of ways you can get  
2 around the 15 percent if you're over it by a little bit, if  
3 you don't have all these other issues in place and the  
4 engineers who work the area understand those issues best,  
5 and are the best suited to come up with whether that's  
6 acceptable to allow it to go online, with simply going  
7 through the Fast Track.

8           MS. KERR: Mr. Singh.

9           MR. SINGH: Yes. I guess I feel compelled that  
10 I've been hearing be careful, double-check, study some more.  
11 I get the position from a lot of the utility representatives  
12 here. Oh, we haven't figured it out yet. We've got to, you  
13 know, it will take some time. You know, it's tough, we've  
14 got to be careful. We get that.

15           In terms of innovation, there was a question  
16 earlier about us working with the utility industry.  
17 Speaking for a company that's actually owned by electricite  
18 de France, that's our parent company, there's a heck of a  
19 lot of innovation going on in our company, not only in  
20 price, because as has been mentioned, the price of PV has  
21 dropped dramatically, but in terms of quality, in terms of  
22 high penetration quality.

23           There's Solar Electric Power Association. They  
24 recently had a high penetration PV conference that was well-  
25 attended by both developers and utilities. So that dialogue

1 is very much happening, and I'm sure a lot of the utilities  
2 here are a part of it. We are.

3 So I think for FERC staff and Commissioners, to  
4 rest assured that innovation is not the challenge here from  
5 the IPP side, and we do see some utility engagement on how  
6 to make this work. But the tone of just be careful, further  
7 study, further study is not going to work in our policy  
8 context today.

9 We can't just study this to death, and the places  
10 that are actually making the advancements on this are the  
11 places that have assertive policies. Sacramento's been  
12 mentioned, the State of California. We have to learn from  
13 that and leverage that to come up with better clarity across  
14 the country.

15 MS. KERR: Okay. We have barely touched on the  
16 two megawatt Fast Track limit, and we're getting close to  
17 lunch. So I would like to shift to that topic. So SEIA has  
18 submitted that the two megawatt threshold for eligibility  
19 for the Fast Track should be eliminated or increased to ten  
20 megawatts.

21 What would be the consequences, whether it's  
22 technical, safety, reliability, administrative, of  
23 increasing or eliminating the two megawatt threshold?

24 Mr. Carranza and then Mr. Lenox.

25 MR. CARRANZA: Well at least, for instance, you

1        need, the first thing I would point out is the maximum  
2        rating that we typically lead our circuits to is 10  
3        megawatts. So automatically when I tell you, unless there  
4        is a lot of load on that circuit that can handle the  
5        generaton that is being attached, it is not going to go  
6        through Fast Track.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1                   Number two, we've been doing this kind of work  
2                   for several years, and it's our experience that the further  
3                   you move away from the two megawatt limit, the higher the  
4                   probability that your project will not pass Fast Track.  
5                   It's just the reality on our system and where the  
6                   interconnections are happening.

7                   The interconnections will probably happen faster  
8                   if they were being developed in areas where the load centers  
9                   were at, but the reality is that you can't put large PV  
10                  systems where the load centers are, at least in San Diego,  
11                  because that's where there's very little land available.  
12                  And whatever is available is very costly.

13                  So they are looking at going out to our rural  
14                  areas. And as I mentioned earlier, our rural areas are not  
15                  designed to carry that type of generation because the load  
16                  was never designed to be there.

17                  MS. KERR: Mr. Lenox.

18                  MR. LENOX: Yes. You know, the system size cap  
19                  is in effect just another rule of thumb that is being  
20                  imposed. And again it currently puts you into this black  
21                  box scenario.

22                  The other screens that we're looking at all have  
23                  a specific technical basis. I don't disagree that as you  
24                  get over a certain size the probability that you won't pass  
25                  some of the other screens goes up, but it doesn't mean that

1       you should arbitrarily cut off the ability to be assessed  
2       under those screens just based on the size line because, as  
3       we all agree, every circuit is different, locations on  
4       circuits are different, and it's really, you know, a  
5       somewhat arbitrary rule of thumb.

6                   MS. KERR:   Okay, Mr. Carranza.

7                   MR. CARRANZA:   Just a quick response.  You may  
8       consider that an arbitrary limit, but through experience we  
9       have found that if you go--if you move that up to 10  
10      megawatts, let's say, and you want to push everything  
11      through Fast Track, you're just going to bottleneck  
12      everything.  Things just aren't going to flow.

13                   We're going to have to look at the Fast Track and  
14      everything from that point on is either going to go into  
15      what you fear to be an independent study.  It's not going to  
16      work.

17                   MS. KERR:   Okay.  Again, I'm going to keep moving  
18      along here.  I'm interested, Ms. Peterson, in what  
19      deliberation of the Fast Track threshold was there in the  
20      Rule 21 proposal?

21                   MS. PETERSON:   Extensive deliberation.

22                   (Laughter.)

23                   MS. PETERSON:   And honestly, I actually thought  
24      that between Mr. Lenox and Mr. Carranza they actually  
25      captured the issue quite well.

1                   From the developer perspective, if I can  
2                   recapitulate, is well let's take a look and see if this  
3                   point of interconnection happens to be a place, because of  
4                   these unique characteristics, where the project of X size  
5                   above that size limit might actually make it through the  
6                   Fast Track screens.

7                   The utility perspective, if I can restate what  
8                   Jose just said, is that you want to balance the number of  
9                   applications into Fast Track so that it remains fast. Right  
10                  now in the proposed reform, Fast Track should last 15  
11                  business days. And there are some technical considerations.

12                  They are different, depending on the design and  
13                  operation by each utility in their service territory, and so  
14                  the ultimate compromise that came out of our settlement  
15                  process established different size limits according to the  
16                  interconnection voltage of the particular utility service  
17                  territory. So it's 1.5 megawatts for San Diego Gas &  
18                  Electric, and 3.0 for both Edison and PG&E up to a 21 kV  
19                  interconnection.

20                  I should mention that San Diego Gas & Electric  
21                  has up to 12 kV interconnections in their distribution  
22                  system.

23                  MS. KERR: Okay. Mr. Roughan.

24                  MR. ROUGHAN: If I could just suggest the fact  
25                  that the 2 megawatt limit was not an arbitrary figure. It

1 was actually worked out over many, many months in terms of  
2 the small gen interconnection proceeding negotiations of 10  
3 years ago.

4 So the fact of the issues relative to what Jose  
5 and Rachel have mentioned about the voltage level you're  
6 interconnecting to, the fact that most projects at this  
7 megawatt size whether it's 2 or 10, are typically trying to  
8 connect to lower distribution voltages purely due to the  
9 cost of the interconnection versus connecting to 115,000  
10 volt transmission at much higher cost for all the equipment  
11 that you need to buy to interconnect to a higher voltage  
12 versus a lower voltage.

13 So there's a strong desire to be able to  
14 interconnect at lower volt distribution. And a megawatt  
15 limit based on voltage is a much more accurate  
16 representation of what can be done. But the 2 megawatts is  
17 not arbitrary. It was a negotiated value in a prior process  
18 and potentially could be looked at, or should be looked at  
19 again going forward.

20 MS. KERR: Okay. So it sounds like perhaps a  
21 limit based on voltage might be an option? Because, I don't  
22 know, it sounds like that's where you ended up. I don't  
23 know if there were other options discussed during the  
24 settlement process?

25 MS. PETERSON: There were other options discussed



1 ranging up into much higher megawatt sizes. Yes, we ended  
2 up at those size limits also based on the voltage of the  
3 interconnection. That just appeared to satisfy the wishes  
4 of all concerned.

5 I will state that the settling parties set out a  
6 recommended scope for phase two of our interconnection  
7 rulemaking, and they specifically want to revisit those size  
8 limits. That's driven by the developer community, that  
9 request.

10 MS. KERR: Okay. So any last comments for this  
11 first panel before we break?

12 (No response.)

13 MS. KERR: Or from staff?

14 (No response.)

15 MS. KERR: Okay, well thank you all for a good  
16 discussion. I would like to remind everyone that we are  
17 accepting written comments on the topics discussed today  
18 until August 16th. So if you want to clarify, or add  
19 detail, or even audience members or other members of the  
20 public, we encourage comments based on what was discussed  
21 here today.

22 So I would ask that everyone be back a little  
23 before 1:00 so we can start the afternoon panels on time.  
24 If you need suggestions for lunch, grab a staff member and  
25 we would be glad to help you.

1                   There is a cafe at the end of the hallway on this  
2 floor in this building.

3                   Thank you.

4                   (Whereupon, at 11:37 o'clock a.m., the conference  
5 was recessed for lunch, to reconvene at 1:00 o'clock p.m,  
6 this same day.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25



1 little bit about what we believe our official position has  
2 been, and then I'll definitely do a little bit more deep  
3 dive on the load data collection.

4 So you heard considerable amount of discussion,  
5 very fruitful and very productive in the morning panel, that  
6 there is a need for updating the FERC Order No. 2006, and  
7 that's what we believe at Sun Edison, that the SGIP  
8 procedures and the requirements do need the upgrade, because  
9 of the change of the circumstances for the solar electric  
10 generation interconnections, as we filed with our projects  
11 in the U.S. pipeline.

12 We strongly support SEIA's petition for update  
13 the SGIP rules, as they have failed in our ability to keep a  
14 pace with the rapid evolution of the solar industry and  
15 become barriers to entrants to the wholesale market. Recent  
16 experience with certain DG projects have very strongly  
17 asserted that process.

18 The current SGIP rules are an impediment to these  
19 renewable projects that we're trying to build and implement,  
20 because they're imposing unnecessary cost, prolonged delays  
21 and uncertainty in the solar energy development cycle.

22 The 15 percent rule in particular, we believe, is  
23 overly stringent and it triggers significant project delays,  
24 and we've had at least four projects that's encountered  
25 those delays. You heard a considerable amount of discussion

1 in the morning where 14 parties in California have reached a  
2 settlement process for the Rule 21 in CPUC rulemaking as  
3 part of the recent reform.

4 I think that's refreshing in terms of  
5 understanding some of the process that went into it. A  
6 tremendous amount of work has gone in, which could become a  
7 framework for us to consider.

8 The centerpiece of the settlement, as we all  
9 know, is a significantly reform CPUC jurisdictional Rule 21  
10 tariff, that can definitely act as source of ideas for  
11 updating te SGIP technical standards nationally.

12 The national best practice for the distributed  
13 generation penetration level has been introduced in that  
14 reformed Rule 21, under which the aggregate interconnected  
15 generating capacity can be equal to 100 percent of the  
16 minimum load on a distribution line section, and I believe  
17 SEIA's testimony talks at length about that.

18 As part of the settlement, the supplemental  
19 review screens have also been formalized, which I believe  
20 has a lot of merit for consideration, and clarified  
21 regarding the issues being addressed by the distribution  
22 provider. This is more robust look at site-specific impacts  
23 of power flow than the initial 15 percent review screen, as  
24 opposed to applying it globally.

25 Now let me talk a little bit about the whole load

1 data collection process. The ability to determine the  
2 minimum circuit load, we believe, is integral to a more  
3 effective screening protocol. That is our process, that it  
4 would significantly help us when we do feasibility analysis  
5 for the research.

6 We feel that because of lack of enough load data,  
7 we're in a black box where we don't have enough transparency  
8 and understanding of what the system circuit loading needs  
9 to look like.

10 Although it is not the universal practice of the  
11 utilities currently to monitor the minimum load and the time  
12 of operation across the majority of their radial circuits,  
13 this should not be a barrier to implementation of the solar-  
14 specific minimum load screen.

15 That's what we have talked at length, in terms of  
16 understanding that the solar projects should be subjected to  
17 the minimum load screen, as opposed to the other technology-  
18 specific projects.

19 Sun Edison also believes that the utilities  
20 should be required to collect and provide peak and minimum  
21 load data on all circuits, where existing plus planned  
22 distributed generation additions would represent 15 percent  
23 or more of the circuit peak load to generation developers.

24 This likely would mean monitoring the load and  
25 installing good monitoring devices where they are not

1 available, but we believe that the time has arrived where we  
2 need to seriously consider that.

3 As an alternative, Sun Edison also recommends  
4 that where actual minimum load data is not available,  
5 powerful software algorithms be extensively used by the  
6 utilities, and consultants be hired wherever there's the  
7 need for using that expertise and the specialized skills, so  
8 that load data can be estimated with reasonable accuracy,  
9 based on the old historical load patterns and standard load  
10 profiles for various customer classes, that many utilities  
11 maintain and update on an annual basis in their database.

12 Finally, the Sun Edison team feels that there's  
13 greater transparency to the load data that should be  
14 encouraged, more widespread access to load data, and known  
15 system limitations to accommodate any additional distributed  
16 generation, will greatly facilitate the developer site  
17 selection of investments, streamline or connection review,  
18 and enable fast track eligibility.

19 So let me wrap with some of the recommendations  
20 that we believe is what sharing with the panel is. We think  
21 a swift SGIP rulemaking action by FERC would be highly  
22 beneficial, and SEIA has proposed supplemental minimum  
23 daytime load screen for solar PV should be adopted.

24 Utilities should be required to collect minimum  
25 load data, or rely on well-established engineering

1 techniques, to establish and estimate minimum load on  
2 circuits with significant PV penetration.

3 We also recommend that the utilities share this  
4 useful load data with developers by execution of NDAs, the  
5 non-disclosure agreements, because we've heard considerable  
6 amount of concern in terms of getting data out there. But  
7 if the developing world is willing to sign the non-  
8 disclosure agreements, that should alleviate the concerns  
9 associated with providing such data.

10 And posting such data in secured websites that  
11 developers can easily access upon execution of NDAs with  
12 utilities or regional reliability organizations. California  
13 ISO, for example, uses a similar approach, where market  
14 participants are allowed to go into their secured websites  
15 and download a tremendous amount of data, as opposed to  
16 having a public open forum. So we understand that concern.

17 Lastly, Sun Edison recommends that post-  
18 rulemaking, various working groups be formed among the  
19 distribution system stakeholders, to promote a more  
20 collaborative working environment, and implement transparent  
21 rules that provide a very clear and predictable path to  
22 interconnection for distributed generation.

23 We like the idea of having the working groups  
24 formed after the rulemaking as opposed to before, because  
25 that will slow down the rulemaking process. With that, I'd



1 like to conclude my talking.

2 MS. KERR: Thank you. Dan Adamson.

3 MR. ADAMSON: Thanks, Leslie. I'm Dan Adamson of  
4 SEIA. I'm a Vice President of Regulatory Affairs and  
5 Counsel, and first just thanks to Leslie and everyone else  
6 on staff for all the work you've been doing on this issue.  
7 We know there's a lot of demands on your time, and so just  
8 by choosing to spend some time on this issue, we really  
9 appreciate that.

10 From what Bhaskar just said and the discussion  
11 this morning, it's obvious to everybody in this room that  
12 getting 100 percent of minimum load data, either actual data  
13 or an estimate, is really integral to making the SEIA  
14 proposal work, the Rule 21 proposal work.

15 You know, without that data or a reliable  
16 estimate, you cannot use the new screen. So it's very  
17 important. As far as the importance of the data, the  
18 Commission has a 20- or 30-year history, or at least 20 year  
19 history on the transmission side of using openness and  
20 transparency about what's going on on the transmission  
21 system, what type of capacity is and isn't available.

22 While this isn't exactly the same, it is the same  
23 in the respect that there needs to be transparency about  
24 this data. Developers need to have the same access to it  
25 that utilities have. You know, that's the way you're going

1 to get open access. That's the way you're going to get  
2 transparency.

3 SEIA filed this petition in February, which is  
4 before the Rule 21 settlement was executed, and what we  
5 recommended at the time was that the obligation to collect  
6 and provide minimum load data be triggered when aggregate DG  
7 on a circuit line section is ten percent or more peak load.

8 So that would mean that in states like New Jersey  
9 and California and other areas where there are, there's a  
10 fair amount of penetration of solar and other DG on a  
11 circuit, that the utility or transmission provider would be  
12 required to provide that data.

13 But in other areas of the country where there's  
14 little or no DG, it wouldn't have any effect, and you  
15 wouldn't have to collect the data. So for example, in North  
16 Dakota, just to pick a state. It's unlikely a ten percent  
17 threshold would trigger a minimum load data collection.

18 I think for a lot of the coops, they were on  
19 earlier, I think, you know, a lot of them are in a position  
20 where the amount of DG on their system is slim to none, and  
21 so this wouldn't really have any impact.

22 We also raised the concept, which was later  
23 reflected in what Bhaskar said in Rule 21, that if you  
24 cannot get the data for whatever reason, that you would  
25 calculate it.

1           So now I'm going to talk about, I'm trying to  
2 follow the script here, you raised the issue of cost,  
3 because it does cost money to collect minimum load data, and  
4 some utilities have a lot of capacity already to collect  
5 this data. Many, and indeed I'm sure it's the majority, do  
6 not.

7           I think you've got to step back a little bit.  
8 There's a lot of utilities making investments in modernizing  
9 their distribution system, some under the ambit of Smart  
10 Grid, some under the ambit of, you know, just good practice.  
11 When they're doing that, oftentimes already they're  
12 including the capacity to monitor and report minimum load,  
13 and they should do that.

14           So if you're upgrading or modernizing your  
15 distribution system, you know, there's a lot of uses for  
16 this minimum load data, and you know, if we're going for a  
17 Smarter Grid, it would seem like a fundamental component of  
18 that would be not just knowing what the peak load is on a  
19 circuit, but knowing what the minimum load is.

20           So some of this can just be phased in over time,  
21 as other investments are made in the distribution system.

22           Just switching gears a little bit, you know,  
23 we're here today at FERC. So we're talking about FPA  
24 jurisdiction, not state jurisdiction, and even though I  
25 think this is an extraordinarily important proceeding, I'd

1 be the first to tell you that, you know, FERC's jurisdiction  
2 over DG interconnection is narrow.

3 It occurs when there's a transaction involving an  
4 interconnection for wholesale transactions subject to an  
5 OAT. So that's a very definable universe.

6 So what that means is within its own  
7 jurisdiction, I'm going to assume, you know, that FERC will  
8 deal with the issue. But that even if you're using a line  
9 that's a dual use line, that's being used for both retail  
10 and wholesale interconnections, FERC has held previously,  
11 and I expect to continue to hold, that the cost allocation  
12 responsibility is with the state.

13 So although it is an important issue in this  
14 proceeding, it's important in terms of FERC's jurisdiction,  
15 if you go into dual use lines that are jurisdictional to  
16 states, this is going to be an issue of cost allocation  
17 dealt with by the states. My guess is that different states  
18 would deal with it in different ways.

19 In closing, SEIA is very eager, you know, we  
20 understand that this is a difficult issue. Some issues, I  
21 think, like the 100 percent of minimum load, at least in my  
22 humble opinion, black and white, you know, who pays for what  
23 is, you know, often depends on where you stand as where you  
24 sit.

25 So you know, we're eager to work with the

1 Commission, states, utilities and others, to come up with  
2 balance and effective solutions to the costs related to  
3 collection of minimum load data. Thank you very much.

4 MS. KERR: Thank you. Also just like we're  
5 having a little feedback, so if anyone has a cell phone  
6 close to a mic, please turn it off. Okay. Our next speak  
7 is Kristen Nicole. She is with the Electric Power Research  
8 Institute.

9 MS. NICOLE: Thank you, Leslie. Good afternoon  
10 and thank you for the opportunity to speak here today. As  
11 Leslie said, my name is Kristen Nicole. I'm the Senior  
12 Project Engineer in the Integration and Variable Generation  
13 Program at the Electric Power Research Institute or EPRI.

14 EPRI is an independent, non-profit mission-driven  
15 company performing research development and demonstration in  
16 the electricity sector for the benefit of the public. Our  
17 membership represents over 90 percent of the electricity  
18 base in the United States, and we're currently experiencing  
19 increasing growth in our international membership to the  
20 tune of about 15 percent.

21 It was interesting our colleague from enXco is  
22 here. We work closely with EDF as well as in France. For  
23 the past four years, EPRI's conducted a host of  
24 collaborative research efforts and facilitated dialogue  
25 amongst power system stakeholders, spanning all aspects of

1 electricity generation delivery utilization, in fulfillment  
2 of this mission.

3 Myself, along with my colleagues Tom Key and Jeff  
4 Smith were co-workers on the Embril published paper  
5 referenced in the SEIA docket, updating interconnection  
6 screens for PV system integration. This effort was  
7 conducted in the context of many other cooperative research  
8 efforts we have going on at EPRI, related to renewables,  
9 storage, integration, interoperability, grid modernization,  
10 grid operations and planning, just to name a few.

11 As Mike Coddington introduced this morning, the  
12 white paper was intended as a stand-alone activity to  
13 provide a high level technical basis for discussion on this  
14 topic. So it's fascinating that it's led to such an intense  
15 conversation today.

16 As an organization, EPRI does not hold, take  
17 stands or hold political persuasions in policy-related  
18 activities. So we are, again, fulfillment of our non-profit  
19 mission.

20 So for our panel, we've been asked to address the  
21 issue of minimum load data as a potential measure for PV  
22 hosting capacity, in the context of the points Leslie  
23 distributed. The idea of the availability of certain types  
24 of data for this type of analysis, potential concerns  
25 associated with the use and sharing or transparency around

1 the data, methods of minimum load estimation and alternate  
2 proposals to facilitate PV siting.

3 As mentioned in the paper, the 15 number, we  
4 talked about this this morning as well, so I'll try not to  
5 duplicate. But the 15 percent number originated from the  
6 half of 50, of 30 percent of peak load, which is generally  
7 rule of thumb for average annual minimum load.

8 The actual ratio of minimum to peak load varies  
9 widely based on many factors. These include, for example,  
10 the type of load being served on a particular circuit. It's  
11 important to remember that load is not the only factor. In  
12 fact, if there is one point that I could leave everyone with  
13 today, it would be that the interconnection process is  
14 unique, depending on the location in the utility  
15 jurisdiction.

16 The circuits, the system, the equipment on the  
17 system, the history of that utility, impedance. There's a  
18 host of different factors that will determine the outcome of  
19 how PV is going to perform in concert with the power system  
20 at that particular location. So the answer is that it  
21 depends.

22 The practice of managing PV penetration levels by  
23 simple benchmarking against load data works well in low  
24 penetration situations, as folks have identified today.  
25 Certain parts of the country, individual power systems are

1 moving towards higher penetrations, particularly California,  
2 Hawaii, New Jersey.

3 For solar integration, it's important that codes  
4 and standards are continually reviewed and revised in  
5 accordance to maintain relevancy of the changing landscape,  
6 and folks echoed that this morning, with the activities  
7 going on in IEEE, as well as Rule 21.

8 The decisions made on this changing landscape are  
9 going to have implications for future generations. So in my  
10 opinion, it's important that policymakers strive to become  
11 as well-versed in some of these electrical engineering  
12 challenges faced by a variety of different parties  
13 associated with integration of DG.

14 These issues are complex and, in my personal  
15 opinion, won't be sorted out just today. So if the  
16 Commission decides to go forward with the working group or  
17 other stakeholder process in order to gather more  
18 information, it should be -- EPRI should be thought of, the  
19 staff and research that we conduct, as a resource for the  
20 community at large and the public at large.

21 It's known that PV has a strict daytime pattern  
22 based on diurnal cycles. So industry's interest in  
23 isolating daytime minimum load data as a factor is  
24 understandable and reasonable. I mean if you just look at  
25 the facts, PV's only on during the day. So it's a very



1 unique characteristic of the generation.

2 The experience is that line section minimum load  
3 data is not widely available. Monitoring and grid  
4 modernization efforts, including Smart Grid, are  
5 increasingly producing a host of new data streams, and  
6 utilities are being bombarded with a lot of new data  
7 streams.

8 It's a matter of taking those new data streams  
9 and understanding how to effectively figure out which ones  
10 are necessary, how to use them. I feel like we're just at  
11 the beginning of this process for PV in general, and then  
12 also for some of the Smart Grid efforts that are underway.

13 At the line segment, it's rare that utilities  
14 will have minimum load data. Jose mentioned this earlier,  
15 unless the line segment happens to be a unique situation  
16 where it's representative of a full circuit. It's not  
17 uncommon for folks to have maximum or minimum load data  
18 through SCADA at the substation level or at the transformer  
19 level.

20 But if you have, you know, three to ten circuits  
21 coming out of that system, you don't necessarily have the  
22 clarity or the visibility below that. So that's a  
23 legitimate concern if the data doesn't exist, and then, you  
24 know, as folks mentioned, you have to understand cost  
25 allocation, understand how to monitor and collect that data.

1           So historically again, you haven't been able to  
2           get access to this data. This is really just the advent of  
3           digital recorders, including digital protective relays and  
4           others, the acquisition of system equipment that come on in  
5           the last few years.

6           I'm going to skip ahead here, just in the  
7           interest of time. But again, so line section monitoring  
8           again is not readily available. It's not impossible in  
9           order to collect this data, but it's extremely labor  
10          intensive; it's easier at lower voltages versus higher  
11          voltages.

12          So there are a lot of considerations in  
13          understanding where you're going to collect that  
14          information, and then also you may only be able to collect  
15          that information for downstream activities.

16          A positive aspect of availability of peak load  
17          data is that it's historically been collected as part of the  
18          system planning process. So you have, it's not just for one  
19          generation system. Utilities have institutionalized the  
20          need for peak load data. This doesn't currently exist for  
21          minimum load data.

22          So we're really, the impetus on collecting that  
23          data is solely based on this need. So if it was available,  
24          it's important to consider additional analysis that would be  
25          required in order to use minimum load data. Folks were

1 mentioning earlier the potential of shifting load if you've  
2 got switching operations and load is shifting, or you have  
3 equipment that's down.

4           You might have a situation where, you know,  
5 you're able to collect minimum load data, but is that  
6 actually, you know, what's the uncertainty of that data?  
7 What's the activity below that data? So again, an analysis  
8 is also something to consider.

9           Online power flows have been mentioned as a  
10 solution to some of these problems for transmission system  
11 operations. This is feasible. For distribution operations,  
12 this is very new practice. So I'm sure, as folks will  
13 mention later, that type of future of being able to use that  
14 data is not readily available right now. This is a very new  
15 space for distribution system applications.

16           So in closing, EPRI is -- and I will just  
17 mention, we're working closely with the national labs, the  
18 CPUC, and the four major California utilities on a  
19 California solar initiative project, looking at alternative  
20 screening methodologies, with the goal of streamlining the  
21 interconnection process.

22           So this effort is underway, based on years of  
23 research. This is not happening overnight, but we did just  
24 get the project. So over the next several years, we'll be  
25 looking at trying to form a technical basis for the future

1 of the screens, and again, this is based on the idea that  
2 every system is unique, every circuit's unique, so how can  
3 you take such a diversity of circuits or scenarios and  
4 figure out a way to generalize it, or at least condense it  
5 so that it is usable in broader scenarios.

6 We're using, you know, our existing experience in  
7 power quality monitoring. We have a deep distributed PV  
8 project that's going on, where we're collecting over --  
9 we're collecting data from about 200 spots around the  
10 country.

11 We're using this data in our simulations and our  
12 open DSS models, to better understand and characterize some  
13 of the activities going on in the circuits, and we are  
14 working collaboratively with a lot of stakeholders in the  
15 room. So thank you for your time.

16 MS. KERR: Thank you. Next, we'll go to Roger  
17 Salas.

18 MR. SALAS: Thank you for the opportunity to  
19 participate in today's panel discussion. My name is Roger  
20 Salas, and I am a Supervising Engineer for Southern  
21 California Edison.

22 In my current role, I supervise a team of  
23 engineers who are responsible for reviewing generator  
24 interconnection requests, and for performance system studies  
25 under our FERC jurisdictional tariff, as well as under the

1 California Rule 21 tariff.

2 I respectfully encourage the Commission to reject  
3 SEIA's proposal that the transmission owners be required to  
4 collect and provide minimum load data to generator  
5 developers.

6 Our experience over the last three years with the  
7 review of approximately 590 applications under the SGIP,  
8 demonstrates that the current SGIP fast track process works  
9 as intended, by separating projects that could interconnect  
10 quickly without safety and reliability concerns, from those  
11 projects that require further study.

12 At SCE, the 15 percent screen is not the most  
13 significant factor as to whether a project meets the fast  
14 track requirements or not. Rather, the most significant  
15 factor is whether developers choose to propose projects in a  
16 transmission-constrained rural area, as opposed to proposing  
17 projects in a non-transmission constrained urban area.

18 Since January 1st, 2011, SCE has completed  
19 analysis of approximately 95 fast track projects. 31 of  
20 these projects were proposing transmission-constrained  
21 areas. Only one of the 31 projects qualified for fast  
22 track. The other 30 projects failed at least two of the  
23 other screens not related to 15 percent, related to the  
24 transmission constraints of the location where they're  
25 proposing to interconnect.

1           On the other hand, of the 64 projects that we're  
2 proposing in non-transmission constrained areas, 50 of the  
3 64 projects passed the fast track requirements. This  
4 demonstrates that the existing fast track process is  
5 appropriately distinguishing between projects that no  
6 potential for safety and reliability issues, from those  
7 projects that require further study.

8           Furthermore, complying with SEIA's request will  
9 impose burdens, both in terms of resources and expenses,  
10 without delivering the benefits that the generator  
11 developers are expecting. In its request, SEIA proposes  
12 that utilities publish minimum and peak load data for all  
13 circuits with penetration greater than or equal to ten  
14 percent of the peak load.

15           However, the 15 percent screen does not apply the  
16 circuit level, but at the line section level. Looking at  
17 the SCE-distributed system, while we do have load data on  
18 approximately 5,000 line sections, we do not have load data  
19 on approximately 33,000 line sections.

20           For these line sections, SCE will be required to  
21 install new devices and communication systems to determine  
22 whether such line sections meets the ten percent load  
23 requirement. Furthermore, simply obtaining raw data is not  
24 enough. The load data will need to be analyzed before it  
25 could be provided to project developers, requiring

1 additional engineering staff to verify and determine  
2 appropriate minimum loads for all line sections.

3 Proper verification requires trained engineers  
4 with knowledge of SCE systems and conditions. These  
5 measures are simply not practical and will not address  
6 SEIA's concerns. As explained previously, the most  
7 significant factor for the fast track analysis is whether  
8 the proposed project location is within a transmission-  
9 constrained area or not.

10 Approximately half of the line sections in SCE's  
11 service territory are in transmission-constrained areas. So  
12 publishing minimum load data for these sections will not  
13 enable more projects to pass the fast track.

14 In fact, even if these projects in these areas  
15 pass the 15 percent screen or even the 100 percent minimum  
16 load screen under supplemental review, these projects will  
17 ultimately still have to go through the study process, as  
18 these projects will fail other screens related to  
19 transmission problems.

20 Nor will SEIA's proposal provide any meaningful  
21 help to projects seeking to connect in non-transmission  
22 constrained areas because the existing fast track process  
23 works well for those projects.

24 Since January 1st, 2011, approximately 78 percent  
25 of fast track projects in non-transmission constrained areas

1 have met the fast track requirement. They have proceeded  
2 under the fast track process. The 78 percent passing grade  
3 speaks for itself. The fast track process is working in the  
4 non-transmission constrained areas.

5 In conclusion, my experience with the fast track  
6 interconnection process has shown that it is working, and it  
7 is not unduly discriminating against solar developers. Of  
8 course, I'm interested in hearing other parties'  
9 perspectives in this issue, and look forward to further  
10 discussion today. Thank you.

11 MS. KERR: Thank you. Steve Steffel from  
12 Atlantic City Electric.

13 MR. STEFFEL: Thank you, Leslie. Steve Steffel  
14 representing PEPCO Holdings, and Atlantic City Electric is  
15 one of the --

16 COURT REPORTER: Would you turn your mic on?

17 MR. STEFFEL: Oh, sorry. Steve Steffel  
18 representing PEPCO Holdings, and I'm the department manager  
19 of Distributed Energy Resources Planning and Analytics. We  
20 have the three utilities, and Atlantic City Electric in  
21 southern New Jersey is the most active area. But we have  
22 solar going in the Delmarva Power and Light area, and also  
23 in this area of Washington, D.C.

24 Looking across the board on the feeder data that  
25 we do have, there are obviously some feeders that don't have



1       this data. They have older data collection systems,  
2       metering and so on. Some of them are manually read, and of  
3       those feeders that do have this data, typically this data  
4       has not gone through scrubbing process.

5               So it would be, you know, starting there, that  
6       would be an extra effort to do all the error checking and  
7       make sure we've got correct data. We don't have typically  
8       of any feeders that have this load data by section. Perhaps  
9       there's some device out there that we've put in that may be  
10      recording it, but it's not something actively being  
11      retrieved by our SCADA system.

12             Things that would affect the accuracy and so on,  
13      phase imbalance, metering the inter-inaccuracy for  
14      estimation error would need to be accounted for if you're  
15      going to estimate the minimum load. And again, I had  
16      mentioned before, you need to take into account the minimum  
17      phase.

18             There are phase imbalances, 15 to 30 percent at  
19      times. They get balanced every so often, every few years.  
20      But you've got to really be careful not to overlook that.  
21      The installed PV will masking some of these loads, and  
22      there's changes due to weather, economics, the DERs being on  
23      and off, and all of that has to be taken into account.

24             So just publishing a raw piece of data is not  
25      going to be meaningful by itself. All these other things

1        have to be taken into account. To make it even more useful,  
2        the pending systems, those with in service states after that  
3        load data was picked up, have to also be taken into account,  
4        which increases the complexity to make that data useful and  
5        meaningful, and something that can be actionable.

6                    In addition, there's distributed automation and  
7        restoration schemes that are in existence on many feeders,  
8        and are being implemented throughout our system to improve  
9        the reliability of the system.

10                    If the practice of providing the data is started,  
11        this type of data would have to be published in a public  
12        website, to ensure that there's no preferential treatment,  
13        and it would have to be updated fairly frequently to be of  
14        value. So there is a significant effort that would need to  
15        be made on the part of the utility.

16                    Since there's a lot of other screens and a lot of  
17        other things that can limit or trigger a study, and it would  
18        not ensure that the developer could put a system in of a  
19        particular size at a certain location on the feeder, we feel  
20        like, you know, it's a lot of effort that may not provide as  
21        much value as was intended.

22                    The other thing is it was brought up in New  
23        Jersey, and when the desire for this data was brought up,  
24        one of the major issues was cost. Who would pay for it? We  
25        never had the solar industry sign on to paying for it

1 completely. So it would obviously be the rest of the  
2 customers that would be paying for it, if we actually do  
3 move ahead and do it.

4 I mean there's measurement equipment, there's  
5 personnel time for all the analytics, and then the posting  
6 of the data and maintaining of that data. So I think those  
7 things are significant to consider and weigh against the  
8 value of that data being provided. Thank you.

9 MS. KERR: Thank you. Tim Roughan from National  
10 Grid, representing EEI.

11 MR. ROUGHAN: Thank you again for giving me the  
12 opportunity to speak like this morning. So going through  
13 this particular question, I think ultimately, you know, Dan  
14 is correct, that there's lots of activity, lots of planning  
15 for reliability enhancements, distributed automation, to  
16 increase reliability of the system, while maintaining low  
17 delivery costs.

18 I mean it's, I mean folks who have been in the  
19 regulatory process know it's quite a process to get a rate  
20 increase put through your state regulator. So when we have  
21 these long-term plans, and if they've been approved, they  
22 need to go down the same path. There's a lot of reporting  
23 requirements to show that you're making progress on putting  
24 in this equipment.

25 If and during, in the middle of that process you

1 now have to adjust or modify where you're putting your  
2 equipment because a circuit gets to ten percent saturation  
3 for PV, that will simply result in some inefficiencies of  
4 that deployment.

5 We need to make sure we work with what the  
6 regulated utilities are, the distribution levels are already  
7 doing, and not impose additional requirements on them, that  
8 require us to go back to each state regulator to get  
9 additional funding to do other work that we hadn't already  
10 talked about.

11 I talked this morning about the three, five, ten  
12 year capital plans most utilities go through and propose to  
13 the regulator. Within those capital plans are things like  
14 DA, are things like Smart Grid enhancements, are things like  
15 communication and controls and intelligence on the system,  
16 so we can automatically switch devices around.

17 So those have been set up and are in place and  
18 we'll work on those plans going forward. Again,  
19 interrupting that plan obviously won't be the most efficient  
20 way to move forward, because ultimately getting the minimum  
21 load data is going to be a long term process. It won't  
22 happen overnight.

23 I know for most utilities have significant data  
24 at the substation level, at the newer substations. We all  
25 have plenty of substations that have been out there for many

1 years, that likely don't have the sophisticated metering  
2 required. Many of the older substations only have peak load  
3 measurements.

4 They don't even have the ability to collect  
5 minimum load without replacing all the metering equipment,  
6 which is typically done in an upgrade when that substation  
7 then comes up due for an upgrade, if you will. So again,  
8 slowly deploying this type of equipment is really the way to  
9 get this minimum data.

10 We had an extensive conversation this morning  
11 about the true value of that minimum load data. I mean I'm  
12 still of the opinion that that's just a piece of the pie to  
13 look at, and to use it as a be-all to end-all screen will  
14 limit the flexibility of the distribution utilities, in  
15 terms of working with their systems, working to meet the  
16 local customer needs, and the reliability needs.

17 New customers come in, new customers go out. You  
18 know, a customer who had a three shift operation two years  
19 ago goes to two shifts. Now they don't have any load on  
20 that Saturday and Sunday afternoon, where typically your  
21 minimum daytime loads are during the late May or early  
22 October periods up in the Northeast for example, and that  
23 can just change.

24 We won't know that that entity went from three  
25 shifts to two shifts. Until they volunteer and call us, we

1 simply won't know. So there's a lot of moving targets here,  
2 and putting together, putting out a rulemaking and then  
3 putting working groups together to try to figure the rule  
4 out, I think, is going the wrong way.

5 So we want to point to set up the working groups  
6 up front to work out all the details. So when a rulemaking  
7 is actually established, you've got that breadth of  
8 experience and knowledge to work off of, versus pushing  
9 forward a rule that frankly will undermine significantly  
10 some utilities' ability to look further into the issues  
11 about the DG looking to be interconnected at that site.

12 We talked a lot about the locational aspects of  
13 these projects. I said it this morning. These projects are  
14 being built on the fringes of the territory. They're being  
15 built in the rural areas. They're being built on the weaker  
16 parts of the system.

17 So whatever the loads are out there is kind of  
18 immaterial, if the conductor site is already a problem, or  
19 if the voltage regulation issue is already a problem.

20 So I think we're kind of getting ahead of  
21 ourselves, trying to figure out how to get the minimum load,  
22 because we really haven't sorted out the answer. Is that  
23 really what we want to get? What's the problem we're trying  
24 to solve?

25 Just because customers don't pass the fast track

1 doesn't mean they don't, they aren't or cannot be  
2 interconnected. There is a study or potentially upgrades.  
3 But projects, we in the current phase of these multiple  
4 megawatt projects, which have only been a couple of years  
5 for us, we haven't seen any drop out.

6 Even with a study, they're going forward.  
7 They're getting built. They're producing solar power. So  
8 we have yet to see a project that fails a fast track not go  
9 forward and still be built. Now perhaps it's happening in  
10 other parts of the country. We're still only in the first  
11 two years of it up in the northeastern states.

12 But realistically, I think we have to recognize  
13 what problem are we trying to solve here. I think we first  
14 need to have that discussion amongst the technical parties  
15 and the different groups of utilities, and of the industry,  
16 to come up with that set of problems we're trying to solve,  
17 and then come with solutions, and then a rulemaking would be  
18 the appropriate method. Thank you.

19 MS. KERR: Thank you. And now to Kevin Fox of  
20 Keyes, Fox and Wiedman, representing IREC.

21 MR. FOX: Thank you, Leslie. Thank you. My  
22 colleague, Mike Sheehan, appeared on the first panel and  
23 provided a little bit of background information on IREC. As  
24 Mike mentioned, we are a 501(c)(3) non-profit, non-lobbying  
25 organization that is presently active, working on

1 interconnection reform efforts in about a half dozen states  
2 including California, Hawaii, Washington, Massachusetts, New  
3 Jersey and also, of course, are active here at FERC.

4 In the half dozen states where IREC is presently  
5 active, we see three developments driving interconnection  
6 reform efforts, all of which were touched on briefly this  
7 morning by panelists.

8 First, utilities are seeing a significant  
9 increase in interconnection requests in many parts of the  
10 country. Second, higher penetrations of distributed energy  
11 resources are being interconnected to our country's  
12 distribution systems. Third, new programs like feed-in  
13 tariffs and community renewables are bringing larger  
14 generators online that do not primarily serve on-site load.

15 These are new conditions that have emerged  
16 primarily in the last three years, well past the time that  
17 FERC adopted the small generator interconnection procedures.  
18 Much of the increase in interconnection activity we are  
19 seeing is due to a rapid increase in solar PV deployment.

20 According to the Solar Electric Power  
21 Association, in 2011, utilities interconnected over 62,500  
22 PV systems. To put this in perspective, about 350 non-solar  
23 PV plants larger than one megawatt were expected across the  
24 United States in 2011.

25 That means that for every non-solar PV plant



1 larger than one megawatt, utilities processed 175 solar PV  
2 applications. Conservative forecasts indicate that this  
3 number will grow to over 150,000 interconnections by 2015.

4 SGIP was not designed to handle this volume of  
5 interconnection requests, nor was it designed to address  
6 higher penetration levels that we are now seeing. Nor was  
7 it intended to facilitate larger and more complex generators  
8 that are increasingly being interconnected to our nation's  
9 distribution systems.

10 The impact of these market changes has been most  
11 significant in states like California, Hawaii, New Jersey  
12 and Massachusetts. However, these states are merely  
13 precursors. According to the Solar Electric Power  
14 Association, 22 utilities interconnected more than 500 PV  
15 systems to their electric power systems in 2011.

16 In fact, utilities with the highest cumulative  
17 solar watts per customer installed, now include utilities in  
18 Georgia and Tennessee. For these reasons, IREC believes the  
19 time is now right for FERC to update SGIP, to it continues  
20 to facilitate solar market expansion.

21 California and Hawaii have both made attempts to  
22 keep the number of applications manageable, by providing  
23 more information to developers in advance of a formal  
24 application being filed. In both states, it has become  
25 apparent that developers are filing multiple applications to

1 identify low cost places to interconnect.

2 In particular, developers may file several  
3 applications for the same projects, or portions of projects  
4 on nearby parcels, looking for how much capacity can be  
5 developed before expensive upgrades are needed. Hawaii and  
6 California are pursuing approaches to reduce the number of  
7 speculative applications.

8 One approach is to provide more information about  
9 low cost places to interconnect up front before a formal  
10 application is filed. Providing this information has the  
11 additional benefit of making better use of existing  
12 distribution system infrastructure, without requiring  
13 significant upgrades.

14 In California, stakeholders have proposed a pre-  
15 application report, to provide specific information on  
16 proposed points of interconnection. Rachel Peterson from  
17 the California PUC discussed this briefly this morning.

18 Against this backdrop, IREC would like to make  
19 three recommendations in response to the specific questions  
20 posed by FERC staff.

21 First, IREC believes the pre-application report  
22 should be incorporated into SGIP. Section 1.2 of SGIP  
23 currently allows for the provision of relevant information.  
24 But this section does not provide time frames for providing  
25 information, or a specific list of information that must be

1 provided.

2 It also does not provide reasonable compensation  
3 to a utility for time spent providing this information.  
4 IREC believes SGIP Section 1.2 should be modified to include  
5 greater specificity. Specifically, we endorse the pre-  
6 application report content of the proposed California Rule  
7 21 reforms.

8 We believe that this is the best means to provide  
9 developers with information to facilitate site selection and  
10 streamline the interconnection process.

11 Second, to the extent minimum load is a relevant  
12 consideration in the interconnection process, and IREC  
13 believes strongly that minimum load is a relevant criterion,  
14 this information should be provided in the pre-application  
15 report, so long as such information is readily available.

16 We do not believe the pre-application report  
17 should require utilities to make calculations or  
18 estimations, but rather should be a means of sharing  
19 information that is readily available.

20 Third, we believe FERC should not mandate a  
21 specific means of collecting or estimating minimum load  
22 data. We believe that there are a variety of approaches  
23 that utilities can use to calculate or estimate minimum load  
24 at the line section. We appreciate the fact that this data  
25 may not be readily available, and that the current

1 infrastructure may not be installed, so that utilities have  
2 it ready. But we do believe that utilities have the means  
3 to calculate or estimate minimum load.

4 This includes making use of Smart Meter data and  
5 SCADA systems deployed at substation distribution feeders.  
6 It also includes use of power flow modeling and the use of  
7 standard load profiles for different customer classes.  
8 Different utilities have different tools at their disposal  
9 currently, and we believe they will be developing additional  
10 tools over time.

11 We believe utilities should have the flexibility  
12 to use the tools that they believe are most cost effective  
13 for their situations.

14 Finally, we believe that requiring the use of  
15 minimum load data in the interconnection process will give  
16 utilities a reason to collect this data. Once it is  
17 collected, it can be made available in the pre-application  
18 report, and applied more readily in the supplemental review  
19 screening.

20 IREC believes any concerns associated with  
21 providing such data to generation developers through a pre-  
22 application report can be easily addressed through simple  
23 non-disclosure requirements. Thank you.

24 MS. KERR: Thank you. So we have some staff  
25 questions, and no Commissioners with us at this point. So

1 we'll get started. Each of you, I think, touched on this a  
2 little bit, but I want to ask it again, and try to drill  
3 down a little bit, the extent to which actual line section  
4 minimum load is currently available, if you have a feel for  
5 that either for your utility or for regions of the country.

6 If it's not currently available, will it be  
7 available in the near future, and if you can give us some  
8 estimate of what time frame you think that is? If it's not  
9 currently available, what are the obstacles to collecting  
10 and providing that data? Again, like this morning, if you  
11 could just indicate with your name plate that you're  
12 interested in answering. Okay. Mr. Salas?

13 MR. SALAS: Yes. As I said in the opening  
14 statement, the numbers that I provided are pretty much out  
15 of our databases, where I stated that 33,000. So  
16 altogether, we have approximately 38,000 line sections more  
17 or less. 33,000 line sections do not have any data  
18 whatsoever.

19 MS. KERR: Does that just include minimum load  
20 data?

21 MR. SALAS: No. No load data whatsoever.

22 MS. KERR: So you couldn't get peak load data on  
23 those either?

24 MR. SALAS: We would have to go under some  
25 estimation if we needed to, on a line by line section when

1 necessary.

2 MS. KERR: So if you had an interconnection  
3 request under the 15 percent screen, you would still have to  
4 estimate that data on those line sections?

5 MR. SALAS: Absolutely. In a line by line  
6 section, you have to do it and some are using different  
7 methods, different tools.

8 MS. KERR: Would those same tools for estimating  
9 peak load, could they be used to estimate minimum load?

10 MR. SALAS: Could be. But again, it would make  
11 it more complicated. But again, doing it on a line by line  
12 section during like a supplemental review process, where you  
13 have, the engineers have more time to determine what type of  
14 customers we have in the line section, you know.

15 We can look at some meters. We can, you know,  
16 look at some trends, whatever. Yeah, we could do it, but  
17 again on a project by project basis, line by line section,  
18 you could do it, but definitely not on 33,000 sections.

19 MS. KERR: Could you do -- you talked about doing  
20 that as part of a supplemental review process. Are you  
21 talking about a general supplemental review process like in  
22 the current pro form SGIP, or in the supplemental review  
23 process similar to the California Rule 21 process?

24 MR. SALAS: In California, we do both. In other  
25 words, you know, what we proposed under the Rule 21,

1 California Rule 21, it's the same screens that we utilize  
2 under our FERC jurisdictional tariff. In other words, the  
3 tariff allows us, it's general enough where it says if any  
4 of the ten screens fail, you can proceed to a supplemental  
5 review.

6 It doesn't really say the exact steps and so on  
7 and so forth, but we as engineers, we know what those steps  
8 are, and we implement those steps both under the FERC  
9 jurisdictional tariff, which are the same as what we would  
10 apply under the Rule 21 tariff.

11 MS. KERR: Okay. Just to clarify, so the  
12 proposed Rule 21 settlement, those are the steps you're  
13 talking about in the supplemental review screens? Okay.  
14 That's what you would use currently to do a supplemental  
15 review? Okay, thank you.

16 MR. SALAS: And again, that's the reason why we  
17 have the percentage, 78 percent of projects that pass fast  
18 track under the, in the non-transmission constrained areas.

19 I would say about 75 percent of those failed the  
20 initial 15 percent, but went into the supplemental review,  
21 in which we looked at the three additional, voltage  
22 regulation, safety and the three additional screens under  
23 this, that we would outline under Rule 21. That's how the  
24 percentages, it's much higher.

25 MS. KERR: Okay.

1                   MR. SALAS: But to answer the original question,  
2 you know, 33,000 line sections we don't have line data for.  
3 We will have to install very large amount of equipment to  
4 be, and communication systems, to be able to collect the  
5 data.

6                   Even once you had the data, again as I stated in  
7 my opening statement, you still have engineering staff that  
8 needs to look at that data, to analyze each line section.  
9 It's just an incredible amount of work, for really I don't  
10 believe that is really necessary for what's intended right  
11 now.

12                   MS. KERR: Just one more question. If you did  
13 have to estimate either peak or minimum load, because it  
14 sounds like it's a similar process, about how much time does  
15 that add to the interconnection process?

16                   MR. SALAS: Well, I think the time that we  
17 allotted in the Rule 21 reform already accounts for that.

18                   MS. KERR: Okay.

19                   MR. SALAS: So you know, I believe it's 15  
20 business days or something like that that we have the  
21 supplemental review, that we allow as the time to do that.

22                   MS. KERR: Okay, okay. Okay, Ms. Nicole.

23                   MS. NICOLE: So just to echo again, from my  
24 understanding, and this is just ballpark, because you're  
25 going to have, again, every system's different, every, you



1 know, section's different. You have different equipment  
2 that's, you know, some of it's newer. I mean folks have  
3 referenced Smart Grid and AMI. We all know that that's not  
4 a reality for every meter in the country.

5 So you have to bucket out different parts of the  
6 system, and just in your mind bucket out you're going to  
7 have different data availability for different types of  
8 situations. So just to kind of ballpark, from my  
9 understanding, you can get -- within SCADA systems, you can  
10 get min-max.

11 But you're going to get that more utilities have  
12 those type of data acquisition systems at the substation or  
13 transformer level, so it's upstream. So you have this kind  
14 of gap in knowledge, where folks will have, you know, you  
15 will understand minimum load, you know, over a year or so at  
16 the substation level for folks who have those systems, which  
17 is not everybody.

18 I would say, and folks can correct me if you  
19 think I'm wrong, but you know, around 50 percent or so.  
20 It's not every situation and everybody's different.  
21 However, once you have those types of measurement points,  
22 then you have to get into the specifics.

23 If you have certain types of equipment out there,  
24 for example if you have digital protective relays, those  
25 would be able to give you some sort of --they would ping

1 back some sort of, communicate some sort of information back  
2 to a data acquisition system, for example. But it would  
3 only be through a specific period. It would be like in an  
4 event or something. Then it would ping back that  
5 information.

6 So a lot of the, or cappings (ph), for example,  
7 and the newer ones could communicate back that type of  
8 information. Not every, you know, line section or line's  
9 going to have those types of equipment on there. So you  
10 just have to work with whatever's out there, whatever is in  
11 the planning to be built.

12 That being said, you know, over the next few  
13 years, as Tim was mentioning, folks have three, five, ten  
14 year plans for build-out, and so it's something that we  
15 should be thinking about in the future. You don't have that  
16 institutional planning capability for minimum load data  
17 versus peak load data. So it's just not something that  
18 folks have done historically.

19 MS. KERR: So on these build-outs, absent a  
20 regulatory requirement, is minimum load something that, you  
21 know, if you're upgrading your system or doing a Smart Grid  
22 program, is that something you would be looking for, looking  
23 to install equipment?

24 MS. NICOLE: I mean from my understanding, that's  
25 not -- what would be the purpose for needing it? You would

1       need it in case a PV developer wants it. You wouldn't  
2       necessarily need it for a planning purpose, because you're  
3       planning for capacity.

4               So you're, so folks aren't necessarily building  
5       down your system requirements.

6               MS. KERR: Okay, thank you. Mr. Steffel.

7               MR. STEFFEL: We have a number of feeders that  
8       they would maybe constitute the line section, in which case  
9       some of them have and some of them don't have, just like  
10       others have mentioned, that there's historical data.

11               There would probably be two sources of getting  
12       this demand-type data that you can roll up to line sections.  
13       One would be SCADA equipment that you actually put out on  
14       the feeder. Number two is if you have AMI and you can roll  
15       it up into feeder sections.

16               We have had AMI efforts in, I guess, two-thirds  
17       of our utility, and in the one area where we have the most  
18       solar, the Public Service Commission has not wanted to have  
19       AMI in that area. So in that area, it's kind of difficult  
20       to put that together by line section.

21               As Kristen mentioned, we don't have as much of a  
22       purpose to focus on minimum or peak. We're focused on  
23       meeting the peak load, and making sure that we've got proper  
24       voltage and we're meeting the, not overloading equipment and  
25       so on.

1           I think that in time, this type of data will be  
2 available. But I think it's kind of premature to try to  
3 request utilities to provide it. The problem is that in the  
4 discussions we had in New Jersey, where you know, this data  
5 was desired, the solar developers and so on really didn't  
6 want to pony up to the cost of collecting it and putting out  
7 the measurement data.

8           So somebody has to pay for this effort, and it's  
9 not an insignificant effort. As I said, putting out  
10 unscrubbed data and not taking into account all the other  
11 factors, doesn't make the data very useful.

12           So to get good data out there that can be  
13 actionable, there is a significant cost, and we've got to  
14 either bite the bullet and somebody has to pay for it, or  
15 you know, we have to say well, it's not worth the value at  
16 this point.

17           MS. KERR: Is there -- Mr. Fox mentioned the  
18 California reports that developers pay \$300 to receive. Is  
19 that some sort of mechanism that would work to pay for the  
20 data?

21           MR. STEFFEL: Not when it costs, you know, tens  
22 of thousands of dollars to pick up the data, on a circuit or  
23 a section.

24           MS. KERR: Okay. Mr. Roughan.

25           MR. ROUGHAN: Yeah. I mean there is no reason

1 for us to collect minimum load data at all today. It's not  
2 what we design our system around.

3 We design our system around providing reliable  
4 service to our customers, and be able to do that under  
5 circumstances where you've got outages, feeders, storms, you  
6 know, care accidents, squirrel incidences, etcetera. So  
7 that's -- it's all driven around that.

8 I did want to just clarify my comment about  
9 utilities have long term, three, five year plans, ten-year  
10 plans. That's only once the regulator has agreed that the  
11 cost versus the benefits of that deployment are right for  
12 that state.

13 Right now, we're still going through significant  
14 pilot efforts on Smart Grid. All the DOE funds that went  
15 out there, a lot of pilots. Everyone's waiting to show that  
16 the cost to make the system smart and advanced metering and  
17 the customer interaction is less than the benefits you'll  
18 derive.

19 That hasn't been proven out in all cases, where  
20 the regulators of the states realize that if they agree to a  
21 multi-tens of hundreds of millions of dollar effort, because  
22 this is a significant amount of work we'd be doing over  
23 time, they need to be comfortable that the benefits of that  
24 price tag are worth spending that money, because we're  
25 talking about a revolutionary change in what we're doing to

1 the utility distribution and transmission systems.

2 And again, they need to be very, very comfortable  
3 before they give us the green light to put in that five year  
4 plan or whatever it is, that the costs we've estimated are  
5 lower than the overall benefits. And until that's in place,  
6 there isn't a plan that's going to provide minimum load data  
7 for most of those line sections which we've been talking  
8 about.

9 MS. KERR: Okay, thank you. Thank, do you have a  
10 question?

11 MR. LUONG: Yes. I just had a clarify question.  
12 You know, so far I heard that there's a lot of area that now  
13 have no peak load data or even minimum load data. What  
14 happen if a PV would like to connect to that area, not even  
15 a fast track, and then you had to perform a system impact  
16 study? What data do you use to perform the system impact  
17 study?

18 MR. SALAS: Is that question to me?

19 MR. LUONG: For anyone, you know, engineer, that  
20 you can provide a system impact study? I heard a lot that  
21 you had no information. So how do you perform the system  
22 impact study with no data?

23 MR. SALAS: Well, during the system impact study  
24 phase, we do have the time to look at, you know, again the  
25 information, the type of customers that we have, the load

1 profiles and so on.

2 So we're not saying that we don't have any data.  
3 We're saying that it's not available to just publish and  
4 click a button and say here's the minimum loads. So we know  
5 the customers; we know who are, which customers are on our  
6 circuits, what their load profile is, and we know the peaks,  
7 and we can probably do a good estimation on the minimums.  
8 That's what we use for study purposes.

9 But again, we do that on a project by project  
10 basis, when we have the time and the resources and the  
11 funding to be able to do such research.

12 MR. DAUTEL: I guess I have a little tweak on  
13 your last question, which is not why are they putting in  
14 minimum, or is it worth it to put in the minimum load  
15 collections?

16 But I assume there are times when They're putting  
17 in meters to do the peak load collections, and I would be a  
18 little surprised if the incremental cost to add minimum load  
19 connection to equipment that can already do peak load  
20 collection is significant.

21 I don't know if that's a question or a comment.  
22 Does anyone have any reaction?

23 MR. ROUGHAN: Well, I think you're right. Once  
24 you upgrade that substation, you put in the full metering  
25 suite of what you normally put in for a new substation.

1       You're right. You've got data. You've got plenty of  
2       information. Minimum, maximum, you've got all the data,  
3       when that substation is being upgraded.

4                 That's at that substation. That's at that high  
5       level which Kristen is talking about. But there's still  
6       relatively few times when you're putting that peak load data  
7       at a line section, at a feeder that's out, equipment out on  
8       the circuit.

9                 So yes. When we're upgrading the sub, you get it  
10       all. It's just when we're talking about the line section  
11       piece here, that's the challenging piece.

12                MR. DAUTEL: Right. I guess I'm primarily  
13       interested in how this applies to the line section. So  
14       you're saying they don't, they often don't have that  
15       equipment and there's no plans to put it in. But then I'm  
16       left assuming that they're doing mostly estimations today  
17       then. Would that change significantly if they started  
18       estimating minimum load data, I wonder?

19                MS. NICOLE: So yeah. I would say, I mean the 15  
20       percent idea came out of an estimation. 30 percent is an  
21       estimation. Whenever, I forget who mentioned it this  
22       morning, I think it was Mike Sheehan, talking about the SMUD  
23       example, where you're trying to close the gap between  
24       estimations and measurements.

25                So anytime you can reduce that uncertainty in



1 your estimations by improving your measurements, and like I  
2 said, there's a couple of different types of ways to  
3 validate those estimations with different measurements.

4 So you could do SCADA. If folks had a new  
5 substation with SCADA capability, you could potentially flip  
6 a switch or maybe it comes out of the box with all types of  
7 data. So it wouldn't necessarily be a huge burden in that  
8 instance. However, you're not going to find every utility  
9 with that type of system.

10 So you're going to have different scenarios  
11 within a utility, or you might have different utilities. My  
12 personal thought on this would be that it might  
13 disproportionately impact folks who, you know, are IRUs,  
14 versus a coop, versus a muni, the extent to which they are  
15 investing in sort of, you know, SCADA activities.

16 Then along the line section, you would have  
17 literally sort of a monitoring device that you'd have to  
18 install. So you would purchase the equipment, which would  
19 be essentially a few thousand dollars, depending on what  
20 voltage level you're at, and then you'd have to install it  
21 and maintain it.

22 And then to Steve's point again, it would be once  
23 you have that data in place, pulling it back, because again  
24 it's only a time stamp, right? So making sure that any data  
25 that you have is put into context of other things happening

1 out either, you know, below the transformer level or amongst  
2 different feeders.

3 So it's not that it's impossible; it's just  
4 again, it's a matter of how much time and how much cost  
5 potentially in the different types of ways that you could  
6 collect data, and then get a precision on exactly what data  
7 you're looking for, and then what's the value of that data  
8 at the end of the day.

9 What we're doing within EPRI with our CPUC  
10 project is trying to get away from this idea that you're  
11 really just looking at load data. You're looking at, you  
12 know, the type of circuit, how can you characterize  
13 different types of activities on the circuit, because you're  
14 going to have, you know, many different types of circuits  
15 out there.

16 So is there a way to take some of these unique  
17 characteristics and develop methodologies to understand  
18 certain types of behaviors, and then validate those to  
19 understand PV hosting capacity. So the idea would be to,  
20 instead of having one number, like a 15 percent number, it  
21 would be more of a customized percentage, or not percentage,  
22 but a customized penetration level.

23 So you know, one particular area might be three  
24 percent, one might be 50 percent. So that's kind of the  
25 direction that we're going in, is away from a one-size-fits-

1 all approach, with penetration and with maybe one data  
2 point, but moving more towards sort of an understanding that  
3 since you have so much diversity, how can you customize it  
4 or create some sort of methodology or platform that would  
5 again streamline the interconnection process. It just makes  
6 it easier, and frankly more accurate potentially, if we're  
7 successful.

8 MS. KERR: Is the idea to make a hosting capacity  
9 idea transparent? It sounds very individualized, so it  
10 might be difficult to describe?

11 MS. NICOLE: No. I mean we're -- no, it's  
12 extremely transparent. I mean the research that we're  
13 conducting, it's repeatable. I mean we're working with  
14 National Labs and with CPUC. So it's going to be, it's  
15 public research.

16 You know, the lack of transparency, in my  
17 opinion, is because it's complex. It's not because there's  
18 not information out there or forums where people are having  
19 a lot of conversations about how to best address these  
20 issues.

21 It's just that it really is a challenging  
22 problem, and you know, you talk on what's happening with PVs  
23 specifically, and you look at demand response and electric  
24 vehicles, and you try to take all of these challenges in  
25 context, and it's really not an easy challenge for

1 engineers.

2 MS. KERR: Okay. Michelle.

3 MS. DAVIS: This is just a follow-up question for  
4 Mr. Ray and Mr. Fox. You both mentioned the execution of  
5 non-disclosure agreements to keep minimum load data secure,  
6 and I was hoping you could expand upon the precise concerns  
7 associated with making that kind of data and presumably peak  
8 data available to generators, generation developers.

9 MR. RAY: I think in the past, what traditionally  
10 the developing world has heard, is that there is  
11 considerable concerns about putting such data out there in  
12 the public domain, where there are some security concerns.

13 So the revival to that argument has been that if  
14 certain developers who have projects in the utility queue,  
15 that has legitimate business reason to get that data, would  
16 utilities be willing to share some information under a non-  
17 disclosure agreement, where they don't feel that they have  
18 to put the data in a completely open public forum?

19 Only a handful of participants or stakeholders  
20 that really have a legitimate business reason to get such a  
21 data, should be able to get access to the data under NDA.  
22 Does that take that security concern from the table?

23 MS. KERR: Did anyone else -- I can't remember  
24 who else you wanted to ask that question of.

25 MS. DAVIS: Mr. Fox mentioned it.

1 MS. KERR: Okay. Mr. Fox.

2 MR. FOX: Sure, I agree with that answer. I  
3 think what IREC is proposing here is to provide information,  
4 not through a publicly-disclosed website that would make  
5 information about utility infrastructure generally  
6 available. California and Hawaii both do that currently.

7 That could certainly be helpful, and I think that  
8 those states have pursued that approach, because it helps  
9 facilitate achievement of their policy goals. They want DG  
10 to go into particular higher value locations, and providing  
11 a map that demonstrates or shows where those higher value  
12 locations are is helpful to achieving that goal.

13 What we're talking about here is providing  
14 information through a pre-application report, where  
15 information on a specific point of interconnection would be  
16 provided to a developer requesting that information, so  
17 there isn't that sort of public disclosure issue.

18 MS. KERR: And you've held your name tag up for a  
19 while. Did you have something else you were going to answer  
20 as well?

21 MR. FOX: I do. Thank you, Leslie. I think it's  
22 important to bring the discussion about metering and the  
23 gathering of information generally sort of back to the  
24 policy issue at hand here. You know, we appreciate that not  
25 all utilities have minimum load data on the majority of

1       their circuits.

2                       So therefore providing that information today in  
3       a pre-application report would be challenging. As I  
4       mentioned, we think it's important that the pre-application  
5       report only require utilities to provide the information  
6       they have at hand.

7                       However, I think it's important to stress that  
8       that does not mean that minimum load criteria cannot be  
9       incorporated into a supplemental review process. The reason  
10      is we want to avoid a chicken and egg problem, where the  
11      answer doesn't become "we don't have it, so we can't use it.  
12      But it's not needed, so we don't collect it."

13                      Because that status quo gets us nowhere, and  
14      we'll never have this information. Roger talked about the  
15      supplemental review process in California, and how that  
16      works, and the fact that it gives utilities an additional 20  
17      business days, I believe it is, and \$2,500, so that they're  
18      compensated for the calculation or estimation of what the  
19      minimum load is.

20                      You know, that is the approach that we would  
21      certainly endorse. Then as that happens, more data will be  
22      made available. I think, you know, there's an important  
23      point that shouldn't be overlooked here. Kristen, Steve,  
24      Tim, I think, all made the point that there's no reason to  
25      focus on minimum load data today.

1           As I mentioned earlier, incorporating minimum  
2           load criteria into the supplemental review process will give  
3           utilities a reason to collect this data, and as they collect  
4           it, they'll then be able to make it available through the  
5           pre-application report.

6           MS. KERR: All right, thank you. Mr. Steffel.

7           MR. STEFFEL: Just a quick comment. You had  
8           mentioned a little question on the hosting capacity, and we  
9           want to acknowledge EPRI's doing an excellent job on that.  
10          There's a few pages at the end of the handouts we gave that  
11          are the results of their hosting capacity on the rural  
12          feeder. So if you're interested, that has a little bit of  
13          their methodology in it.

14          MS. KERR: Okay, thank you. Mr. Salas.

15          MR. SALAS: Yeah. I wanted to comment back on  
16          Thanh's original question, I guess, as far as, you know, I  
17          guess his question was related to once you do a project, you  
18          know, what does it take to put additional equipment out  
19          there, to obtain the minimum load data?

20                 One thing that we have to keep in mind is that we  
21                 are under a lot of pressure to ensure that we serve our  
22                 customers, at a minimum amount, you know, of the cost,  
23                 minimum of cost. So when we have overloaded systems, we try  
24                 to do the minimum that we can, to be able to continue to  
25                 serve our load reliably and safely, and maintain the systems

1 without becoming overloaded.

2 Putting additional equipment out there, and  
3 typically that basically what it means is if we have a  
4 circuit that's overloaded, we put a new breaker at the  
5 station, typically put a wire down to a specific area of a  
6 circuit, break up a circuit in half or something like that  
7 and call it good, right?

8 Putting additional equipment out there, that  
9 would require putting communication systems, putting more  
10 monitoring equipment. So even on those projects that are  
11 currently in the pipeline, now you're talking about  
12 increasing the cost of those projects.

13 Once you increase the cost of those projects, now  
14 you have to take the money away from other projects that are  
15 required to continue to serve the load.

16 So it's, you know, even on existing projects that  
17 are under the pipeline, just because they're new projects  
18 doesn't mean that you can put the equipment for monitoring  
19 the minimum loads out there, because that's going to be an  
20 incremental cost for which we don't have the money for to  
21 do.

22 MS. KERR: Okay, thank you. Mr. Adamson.

23 MR. ADAMSON: Yeah. I just want to make a quick  
24 comment on something Kristen said. She mentioned putting  
25 together kind of a customized load penetration thing, and



1 that sounds very appealing, something we would support.

2 But our near-term focus for this petition is 100  
3 percent of minimum daytime load screen, which the lab, you  
4 know, EPRI report lists in terms of short-term solutions,  
5 and there's a lot of, you know, more can be done. But we're  
6 trying to walk before we run here.

7 MS. KERR: Okay, thank you. Mr. Ray.

8 MR. RAY: Okay. So just one comment in terms of  
9 what we've all heard earlier, in terms of the fact that  
10 collecting load data is very expensive, it's time-consuming,  
11 it takes a lot of resources.

12 I guess given that there is a strong signal from  
13 the solar developing community that's going out, in terms of  
14 the genuine need for getting the minimum load, have we  
15 vetted enough or had a stakeholder initiative, especially in  
16 the high penetration areas, in terms of understanding what  
17 is the cost of such load data collection, and how much does  
18 load monitoring devices would cost.

19 Perhaps a middle ground or compromise would be to  
20 take a tiered approach, and install the load monitoring  
21 devices in the areas where traditionally interconnection  
22 requests are much higher than other areas.

23 Because utilities typically have a pretty good  
24 understanding of where our higher concentration of  
25 interconnection requests that are coming in, as opposed to

1 other areas, where developers are not that interested in  
2 building projects.

3 So could there be a tiered approach that could be  
4 adopted, in terms of leveling out the cost of such  
5 installations and getting the minimum load data to the solar  
6 community. So I think it's worth exploring into that world  
7 a little bit more, as opposed to being having a dismissive  
8 approach of saying that it costs too much money and there's  
9 just no need for such minimum load data. I think it  
10 requires more discussion.

11 MR. DAUTEL: And in fact, isn't the proposal to  
12 only require these on line sections with at least ten  
13 percent of minimum load, or I'm sorry, of peak load?

14 MR. ADAMSON: Yeah, that's the SEIA proposal, is  
15 that the obligation to collect minimum load data would kick  
16 in if a circuit line section, you know, hit ten percent of  
17 peak.

18 MR. DAUTEL: And do we have a sense for like, I  
19 know Roger you said that there's 38,000 line segments in  
20 SoCalEdison. Do you have any sense for how many of those  
21 would be impacted by a proposal like that? Or of the 5,000  
22 that are already monitored?

23 MR. SALAS: Yeah. I'll answer that coming from  
24 Bhaskar. Yeah, frankly I mean you're talking about 38,000  
25 line sections that we have.

1           I would say, gosh a rough guess, probably about  
2           95 percent of projects probably don't have, and that's just  
3           a rough number, don't have the ten percent that they're  
4           looking for, but yet they're requiring us to, or also be  
5           required to provide that data, even though it's not  
6           necessary.

7           Because with how many applications we have at  
8           SCE, probably 1,000, you know, or something like that, you  
9           know, maybe 1,100. But we have 33,000 line sections. So  
10          you know, it's just a very enormous amount of line sections  
11          for which data doesn't exist, and a lot of work needs to be  
12          done.

13          The other thing that I want to point out,  
14          according to Bhaskar, is that concentrating or getting the  
15          load data for these areas with higher amount of requests.  
16          Well, that's taking into account a FERC tariff and CPUC  
17          tariff.

18          We have about, I would say, about 75 percent of  
19          projects are in what we refer to as transmission-constrained  
20          area, where basically out in the desert, there's no load out  
21          there, and any amount of power you put into the distribution  
22          system is going to flow back to the transmission system, and  
23          creates problems with other projects already proposing to  
24          connect to the transmission system.

25          So putting that information in that area really,

1       it's not going to help, you know. So you know, if the  
2       proposal was to say well, just look at the areas of higher  
3       concentration, well that's the areas, that's the desert,  
4       okay.

5                So really even if you had the data it doesn't  
6       help you, because you have to go through the study process,  
7       because you have to be combined with the rest of the  
8       projects that are connecting to the 66 kV system, the 115 kV  
9       system, and those that are under CAL ISO control.

10               So you have to put them all together to be able  
11       to study them together. So really you don't, that's really  
12       the worst location you want to put them in.

13               MS. KERR: So are those locations, I don't think  
14       we've talked about it yet in this panel, but earlier today  
15       we talked about the maps that the California utilities have  
16       to put out, in addition to the reports, in the Rule 21  
17       settlement. Would that kind of location show up on the  
18       maps?

19               MR. SALAS: Absolutely. We definitely on the  
20       maps we have, there are various levels, and we basically  
21       said oh, this area here, it's a transmission-constrained  
22       area. Do not, well you know, be aware when you propose  
23       projects in this area, because they're going to have to go  
24       through a study process.

25               We provide information as to where our load

1 centers, where is there's no transmission problems, and we  
2 have, you know, maps that show whether you can, you know,  
3 those circuits that have high amount of -- high loads and  
4 low generation.

5 So that if you see a green circuit, that means  
6 that this project can potentially pass the fast track. But  
7 a minimum, if you were to use the maps to say don't, stay  
8 away from the transmission-constrained areas. So be aware  
9 that there's a transmission problem here. If you stay away  
10 from those, your minimum can go through the ISG study  
11 process, and still interconnect with them.

12 MS. KERR: So in putting together those maps,  
13 even that even the peak load data, it sounds like not always  
14 available by line section, are you using substation data or  
15 --

16 MR. SALAS: Transmission system data.

17 MS. KERR: Transmission system data?

18 MR. SALAS: Yeah. I mean basically it's all the  
19 generation that's being proposed in the distribution,  
20 subtransmission and transmission system, and then  
21 determining that there's already, you know, 115 or 220 kV  
22 problems out there, where lines need to be upgraded.

23 So knowing how long it takes to do those type of  
24 projects, really putting additional projects on the  
25 distribution system is problematic. So we don't -- on that

1 level, we don't even use the distribution level. We use the  
2 transmission level.

3 MS. KERR: Okay. Okay, thank you.

4 MR. LUONG: I'd just like to clarify one more  
5 thing. So you mean that it's a transmission constraint on a  
6 transmission system, not on a distribution level?

7 MR. SALAS: It's both, but you know, typically,  
8 distribution issues can be resolved quickly. So if you're  
9 putting projects in a distribution, where there's no  
10 transmission problems, you'll be able to find the problems,  
11 you'll be able to mitigate them. You can go through the  
12 independent study process and still interconnect, you know,  
13 quickly.

14 But in those areas that have transmission  
15 problems, it's just -- you really have to be studied  
16 together with all the other projects. It wouldn't be fair,  
17 you know, to put 30 megawatts of 1.5 or 2 megawatt generator  
18 projects, and allow them to interconnect, while you have the  
19 other transmission projects being held back. So you know,  
20 that's really where the problem is.

21 MS. KERR: Okay, Mr. Ray.

22 MR. RAY: Yes. Just a quick comment on that  
23 whole question about the transmission, you know, becoming a  
24 global issue. It is true, we all understand the fact that,  
25 you know, when you've got a transmission level constraint,

1 that that impacts every little generator that's going into  
2 that cluster.

3 But the reality of the fact is, I'll just use  
4 Edison as an example, is there are several transmission  
5 projects committed, because there are other large-scale  
6 solar projects going into the transmission level that has  
7 triggered those congestion, and they're being addressed by  
8 building transmission to open up those bottlenecks.

9 The reality of the fact is because FERC's plan  
10 approval is in place, and several transmission projects have  
11 been undertaken, I think we need to decouple those issues  
12 and take a look at the distribution system at some point,  
13 because those transmission bottlenecks are being addressed  
14 and they are going to be resolved, because several projects  
15 are already under construction.

16 So I think that may be the case very well today.  
17 But in the near future, those transmission bottlenecks, when  
18 they go away, we're still stuck with this whole distribution  
19 level, 15 percent minimum load screen issues, because the  
20 transmission projects are going in, and billions of dollars  
21 are being invested under FERC plan approval, to take care of  
22 those issues, because they are more pressing.

23 MS. KERR: Mr. Salas, do you have a reply?

24 MR. SALAS: Yeah, definitely. Yeah definitely.  
25 We're not saying that those projects cannot interconnect,

1       okay. We're saying that those projects are going to fail,  
2       specifically fast tracks screens number nine and ten.

3               So they are not -- we're not talking about  
4       whether or not those projects interconnect. We're talking  
5       about those projects have to go through further studies,  
6       because they're failing -- they're not failing the 15  
7       percent screen. At that point, it becomes almost  
8       irrelevant, you know.

9               It's a factor in the distribution, but you're  
10       going to fail nine and ten, and no matter what, you have to  
11       go through a study process.

12              MS. KERR: Okay. We just have a few minutes  
13       left, and I have at least one more question. But Mr.  
14       Adamson, did you have a comment?

15              MR. ADAMSON: Yes. I mean it's quite clear that,  
16       you know, minimum load data is just not available from a lot  
17       of utilities, and that's going to change over time.

18              We don't know how quickly. But I think what the  
19       issue is here is Order 2006 was essentially the 15 percent  
20       threshold, a way of estimating minimum load, and it's one  
21       that's turned out to be overly-conservative and turned out  
22       to be a market barrier to solar in the current environment.

23              What we're asking you to do with SEIA is to adopt  
24       a new and improved way of estimating minimum load, either  
25       providing for minimum load data or estimating. It's very



1 clear from the panel that there's going to be a lot of  
2 estimating. It's something utilities have done, even for  
3 peak load where they don't have it.

4 So you know, I hope that everybody goes ahead and  
5 gets minimum load data available right away. Realistically,  
6 it's going to evolve. But what everybody can do today is  
7 they can do a much better job of estimating minimum load on  
8 a circuit than they did under the 15 percent rule.

9 MS. KERR: That leads me to my next question,  
10 which is what are the current concerns associated with  
11 estimating minimum load, to the extent we haven't talked  
12 about them already, and what can we do or what can utilities  
13 do to alleviate those concerns? Mr. Roughan.

14 MR. ROUGHAN: Yeah. There's two parts to that.  
15 I think Roger, you know, hit the nail on the head in terms  
16 of when you really get into looking at minimum load, if you  
17 don't have the raw data. You've got to do an extensive  
18 review of the customer population, you know, the fusing, the  
19 reclosers, all what you've sized things over time.

20 I think the dilemma with that is estimating  
21 minimum load in order to meet a very quick fast track time  
22 frame becomes very difficult in those short time lines,  
23 because we also have to recognize as we move forward to get  
24 actual minimum load data, those decisions are made by every  
25 state regulatory body to approve those investments or not.

1           We just need to recognize that from that  
2 perspective, it's going to happen over time, but it will end  
3 up being, you know, that particular state that authorized  
4 that particular distribution, getting utility approval to  
5 spend money in this way or that way, right?

6           That's where, that's how you're going to fund it,  
7 if the solar development community isn't going to fund it.  
8 So that's where we have to really understand it will happen.  
9 So estimating minimum load is still, and as Kevin said, I  
10 think clearly when you have the pre-application report,  
11 because we do those as well in the northeast, which are very  
12 effective, you can provide it.

13           If you don't have it, and they roll into the  
14 other studies, then you can go ahead and try to get it,  
15 because we do come up with -- we do estimate the minimum  
16 load when we're doing the impact study, so we can understand  
17 do we need to be careful of islanding and that sort of  
18 thing.

19           MS. KERR: Ms. Nicole.

20           MS. NICOLE: So I would just make the point that  
21 we are talking about minimum daytime. So that's kind of the  
22 context of the conversation that we're talking about, and  
23 also not get away from the idea that it's also in the  
24 context of line segment versus circuit or feeder level or  
25 transformer level.

1           You know, it seems -- from my understanding, it  
2           seems that the minimum load data is available at, you know,  
3           for folks who have SCADA systems or other sort of digital  
4           applications. They can easily get that data. So it's not  
5           necessarily that that's a prohibition to moving forward.

6           However, what I like to think about is kind of  
7           the difference between when we mentioned daytime minimum  
8           load in the paper, it's kind of in your mind separating out  
9           the difference between the interconnection screen and a  
10          short-term solution for improving the screening process,  
11          versus solutions for integration of solar.

12          It's two, in my mind, it's two very different  
13          topics. So right now the 15 percent is an estimation, and  
14          so can we improve upon that with, you know, as Mike Sheehan  
15          said, with validation of measurements in the field, or more  
16          transparency on data that's already being collected, or  
17          potentially collecting more data?

18          I think those are all potential options, but they  
19          should be focused on the conversation of addressing the  
20          problem of the accuracy or, you know, usefulness of that  
21          particular fast track screen.

22          When you talk about integration of solar, you  
23          know, which we do every day at EPRI, it's a matter of  
24          understanding the complexity of the system, and frankly what  
25          we're looking at is it's not so much a load data or

1 megawatt, PV megawatt data.

2 You're looking at a host of different  
3 characteristics and the interaction of those  
4 characteristics, how load changes over time or what  
5 estimates you're making, what data you have available.

6 So what we would like to do is get away from sort  
7 of 15 percent or 30 percent or 100 percent, and try to talk  
8 more broadly about what we can do on the integration side.  
9 That would then sort of feed some of the interconnection  
10 policies, in a way that everybody's happy with.

11 MS. KERR: And Mr. Fox.

12 MR. FOX: Thank you, Leslie. I just want to take  
13 a moment to echo what Tim said, because I think he really  
14 kind of got at the nut of the issue here. The issue really  
15 in my mind is how long does it take to estimate the minimum  
16 load.

17 I haven't really heard anybody speak forcefully  
18 against relevant, minimum load being a relevant criteria in  
19 the interconnection process. Roger talked about the fact  
20 that if they were doing an interconnection study, a system  
21 impact study, they would take a look at minimum load, and  
22 they would have additional time, and certainly, you know,  
23 the additional funding through interconnection study costs,  
24 to be able to take a look at minimum load.

25 I think the issue really here with the

1 supplemental review is, because the supplemental review I  
2 think this got lost a little bit earlier on the first panel,  
3 is you know, the initial review screens are kind of a thumbs  
4 up/thumbs down sort of approach.

5 What California did with supplemental review  
6 really operates very differently. It allows a lot more  
7 engineering discretion and judgment to be involved with the  
8 application of reliability, safety, power quality screens.  
9 Also, one of those considerations, then, is minimum load  
10 criteria.

11 So to the extent that is a relevant consideration  
12 in the process, in California it was felt that the exercise  
13 of the engineering judgment around reliability, power  
14 quality and safety sort of issues could be coupled with the  
15 calculation or estimation of the minimum load, so you could  
16 do a sort of quick, second look for systems that failed  
17 initial review, and say within 20 business days and with a  
18 \$2,500 fee, yes, this system can pass without additional  
19 study, or no, it needs additional study.

20 But there's a fair amount of discretion there to  
21 apply engineering judgment, so we can avoid the sort of, you  
22 know, bad case scenarios that a lot of people brought up on  
23 the first panel. You know, I've talked to a number of  
24 utilities about this, and a number of them have echoed the  
25 belief that they don't necessarily want every single project

1 to go to study either.

2 So I think really at the core, what we're talking  
3 about here is is there some subset of projects that may fail  
4 the initial review screens, that don't necessarily require  
5 full study? Because if there is, then it makes sense for  
6 everybody involved to pull those out, and create a process  
7 that allows them to be addressed quickly, and at a  
8 reasonable cost, without a full study being required.

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 MS. KERR: Well with that, we're going to end  
2 this panel. Thank you very much for a good discussion, and  
3 we will be back in 15 minutes. Again, for folks who are  
4 leaving, I would just like to remind you that we are taking  
5 written comments for 30 days on the issues brought up in  
6 this technical conference. Thank you.

7 (Whereupon, a recess was taken.)

8 MS. KERR: All right, welcome back to the last  
9 panel. Our last panel of the day is on the "Review of  
10 Upgrades" required for interconnection.

11 Our panelists include Jim Torpey from SunPower  
12 Corporation, on behalf of SEIA; Rick Gilliam from The Vote  
13 Solar Initiative; Dan Adamson from SEIA; Roger Salas from  
14 Southern California Edison; and Steve Steffel from Atlantic  
15 City Electric; and Steven Herling from PJM.

16 I would like to invite our first panelist, Jim  
17 Torpey, to give his opening statement.

18 MR. TORPEY: Thank you, Leslie, and thanks to  
19 FERC staff for convening this discussion on barriers to  
20 interconnecting solar and distributed generation.

21 My name is Jim Torpey. I am the Director of  
22 Market Development at SunPower. SunPower is a manufacturer  
23 and developer of solar-based projects in California, our  
24 headquarters in California.

25 A couple of things that are relevant. For one, I

1 have worked for 20 years of my career for a public utility,  
2 and I will just say that I really respect all the things,  
3 and the difficulties and the problems that you've heard  
4 about today. And I also have seen the tremendous ingenuity  
5 and ability to solve problems at the same utility  
6 engineering groups, and I am sure that a lot of these things  
7 that we've talked about as we work together can be solved.

8 SunPower has either interconnected or is in the  
9 process of interconnecting about 1200 megawatts. So we do  
10 have some experience and some of the things that I'll be  
11 talking about are based on that experience.

12 We've heard today appeals to work together with  
13 utilities to improve interconnection and reduce costs, and  
14 we are certainly very interested in doing that. And I think  
15 what I am going to talk about and what we'll talk about on  
16 this panel is at least our attempt to start to work that  
17 out, work out one process for how to do that.

18 Reducing costs is very important to us, both from  
19 the standpoint of reducing time and effort that the  
20 utilities have to do in order to review interconnection  
21 requests, and then also in terms of the time and money costs  
22 of interconnecting and making sure that those are  
23 appropriate for meeting the needs of the grid.

24 I think one of the things, when somebody asked on  
25 an earlier panel what are some of the costs involved in



1       these interconnection studies, the thing that is really  
2       important to understand from the aspect of solar development  
3       is time is money. And it's something that if you put a  
4       project into what we consider to be sort of a black hole of  
5       an interconnection request and don't know when it's going to  
6       come out, an answer, or how much that is going to cost, it  
7       is really something that makes a project very difficult to  
8       finance. And you're basically really making that project a  
9       lot more, not only difficult to finance but more expensive.

10               And so I think it is in everyone's interest to  
11       try to make that process work a lot better.

12               What we are seeing is that there is little  
13       transparency--and this is again from the perspective of a  
14       solar developer. We are seeing little transparency  
15       regarding each public utility and/or transmission owner's  
16       technical requirements for interconnection.

17               In practice, each is different and each may  
18       change over time. From our perspective again, once we  
19       submit a project oftentimes it seems like it falls into a  
20       black hole. You don't know what's happening. You don't  
21       know where it's going. You don't know how much it's going  
22       to cost.

23               And what happens is that we also see sometimes  
24       some of the requirements appear arbitrary and  
25       discriminatory, and that individual developers are sometimes

1       asked to take on costs for technical solutions that appear  
2       to be either excessive or unnecessary as related to a  
3       specific project.

4               I think later in the panel Rick may give you some  
5       more specific examples about that. But in any case, there's  
6       really no effective process in place today for adjudicating  
7       these disputes concerning reasonable and alternative  
8       solutions for maintaining distribution reliability and  
9       safety.

10              And again, it is not our intention to get around  
11       anything that has a safety or a reliability impact. But  
12       sometimes there are different alternative solutions and ways  
13       to do it a lot better than--or at least from our opinion,  
14       there should be some process for figuring that out.

15              So what we are really talking about is presenting  
16       an approach that's an improvement to transparency and also  
17       to process.

18              So the first step one, we need to know what the  
19       process is for each utility. And sometimes you've heard a  
20       lot from the utilities today, but not every utility is as  
21       completely upfront and able to work as well as some of the  
22       utilities you've heard today. So we are really talking  
23       about a process that is required across the board in many  
24       cases.

25              We are really looking to require utilities to

1 publish what their requirements for such items as voltage  
2 control standards, when a transfer trip is required, et  
3 cetera, et cetera, a lot of technical requirements.  
4 Sometimes we don't even know what they are until after the  
5 fact. We would like to see those up front. As well as a  
6 time frame for which they say we can develop a project under  
7 X amount of time, and these are the time frames. And then  
8 we should have the right to challenge those if they are  
9 unreasonable.

10 The second thing is to define what some  
11 alternatives are in case there is a dispute over what the  
12 best solution is. So cases where the developer believes  
13 that proposed upgrade requirements are unreasonable and not  
14 supported by the facts, developers should have the right to  
15 commission at their own expense a professional engineering  
16 report outlining alternative solutions to identified issues.

17 And then we can go through a process--this is one  
18 process that we're suggesting, but we're not saying this has  
19 to be prescriptive. But in any case, a utility could either  
20 accept the developer's report, or they could say, no, we  
21 don't really accept your report. And so what we would do is  
22 go to a third party.

23 You'd have an independent third party who would  
24 then look to present the facts, by reviewing both the  
25 utility report and also the report of the individual

1 developer, and then come up with an opinion. That opinion  
2 would then be--although the final decision would remain with  
3 the public utility, the utility will be expected to give  
4 substantial weight to the findings and recommendation of the  
5 third party expert when making its final interconnection  
6 decision.

7 In the event the utility does not accept the  
8 expert findings and recommendations, it must provide the  
9 applicant a fulsome explanation of the factual basis for not  
10 accepting the third-party recommendation.

11 I know there was a question about whether it  
12 would be a viable alternative to have a comment section, as  
13 is done in the large generator interconnection procedure.  
14 In conversations with developers familiar with the practices  
15 of public utilities and the LGIP procedures, the general  
16 consensus is that the opportunity to provide comments is  
17 somewhat perfunctory because the public utility is under no  
18 obligation to seriously consider the alternatives being  
19 presented by the developer's engineering consultant.

20 By adding an objective third-party expert's  
21 input, the expectation is that there will be a higher  
22 standard established for considering and incorporating the  
23 objective engineering input.

24 Thank you, very much.

25 MS. KERR: Thank you, Mr. Torpey. And now let me

1 move to Mr. Gilliam.

2 MR. GILLIAM: Thank you, Leslie.

3 My name is Rick Gilliam. Just by way of  
4 background, I spent a number of years here on the FERC  
5 staff, actually, at the start of my career. I worked for a  
6 utility for a dozen years. And then went to work for a  
7 competitor of Jim's here, SunEdison, and worked there for a  
8 number of years. And now I'm with Vote Solar.

9 Vote Solar is a nonprofit 501(c)(3) organization  
10 that advocates for positive solar policies to bring solar  
11 into the mainstream across the United States.

12 I appreciate the opportunity to speak today, and  
13 the comments I have will address the interconnection  
14 standards first established as part of Order 2006.

15 As you know, these have been used by many states  
16 as a model to develop similar interconnection standards for  
17 connections of small generation to the distribution grid.  
18 As such, these rules have set effectively a minimum  
19 standards for SGIP on the distribution grids.

20 As we have heard earlier today, the lack of  
21 consistency, the costly and lengthy process, is a problem  
22 for solar developers. Our goal in making these comments  
23 today is to help promote a clear and predictable path to  
24 interconnection for distributed generation.

25 In my experience, for projects that do not pass

1 the Fast Track screens, utility facility studies have found  
2 a diverse set of assets and costs required for the  
3 interconnection. In addition to expected and quite normal  
4 costs such as reconductoring, transformer upgrades, and so  
5 forth, upgrade requirements have been imposed that include  
6 exorbitant and sometimes surprising costs of things like  
7 extensive telemetry equipment, life-of-asset O&M costs as  
8 part of the upgrade, and income taxes included in these  
9 estimates.

10 It's not at all clear that the assets identified  
11 in these upgrade requirements are the minimum required to  
12 resolve the concerns and inclusions of the system impact  
13 study. And we all need to remember that these costs, one  
14 way or another, ultimately will be paid for by the utility  
15 ratepayer.

16 Additionally, some transmission providers--and I  
17 use that interchangeably with IOUs--have played a type of  
18 Price Is Right game with the feasibility study in which a  
19 quick turnaround is offered if the developer accepts a  
20 facility's estimate with little supporting documentation or,  
21 Door Number Two, wait longer for the unknown system impact  
22 and facility studies which may result in higher costs.

23 While such an offer may be made in full good  
24 faith, it offers the potential for gaming, particularly when  
25 solar developers operating in a highly competitive

1 marketplace are anxious to move projects along as quickly as  
2 is feasible.

3 This risk is compounded by the serious  
4 information imbalance between the utility and the project  
5 developer. The developer has little upon which to base an  
6 informed decision. The preapplication report that's been  
7 discussed several times earlier today in Rule 21 we think is  
8 a good step forward in that regard.

9 Overall, in our view there's insufficient  
10 transparency and accountability in the interconnection  
11 standards. Order 2006 did provide for some relief in  
12 Section 3.5.4, but unfortunately the wording of the section  
13 leaves the utility as the party with the ultimate  
14 decisionmaking authority. And as Jim said, it provides  
15 little motivation for the developer to challenge those  
16 findings if there isn't an opportunity for either a third-  
17 party review or ultimately an arbiter such as a public  
18 utility commission.

19 The supplemental notice that the FERC issued  
20 asked for us to address a few additional questions. So just  
21 to cut to the chase:

22 In our view, an independent third-party review of  
23 upgrade requirements would help generation developers to  
24 have confidence in the determination of upgrade  
25 requirements, but only if there's an opportunity for

1 backstop regulatory oversight.

2 It is unclear whether the written comments  
3 contemplated in the second question, the LGIP, would be made  
4 to the transmission provider or to a regulatory body. If  
5 it's to the transmission provider, I agree with Jim that  
6 there is not much motivation on behalf of the developer to  
7 follow that path if the transmission provider is the  
8 ultimate decision maker.

9 Indeed, we believe the feasibility study itself  
10 should be subject to the same opportunity for third-party  
11 review of potential adverse system impacts with a right to  
12 appeal to the regulatory body as the final arbiter.

13 You asked for some down sides. I can get into  
14 that in a few moments. The cost of engaging a credible  
15 engineering firm to review potential system impacts and  
16 upgrade requirements could be a challenge, in that the firms  
17 that are out there often are retained by utilities for work,  
18 and there may be a conflict of interest.

19 And the size of the projects that generation  
20 developers in the solar space typically do are considerably  
21 smaller than other opportunities that utilities may be able  
22 to offer engineering firms. So there may be some reluctance  
23 on the part of such firms to engage in that process.

24 Having said that, we think it is still important  
25 to have that opportunity to engage a third party.



1                   Finally, I would like to ask the FERC to continue  
2                   its original plan to review these interconnection standards  
3                   on a periodic basis so that we can stay current with the  
4                   fast-changing technologies.

5                   Thank you.

6                   MS. KERR: Thank you. And Mr. Adamson.

7                   MR. ADAMSON: Thanks. So we're talking upgrades.  
8                   I think it's good to at least spend some time on it, because  
9                   we have spent so much time on minimum load and Fast Track--  
10                  which not to discount that; I think they're very  
11                  important--but this upgrade issue is important.

12                  Let me just stipulate up front that,  
13                  notwithstanding the various anecdotes that we've brought to  
14                  your attention, that I think the recommendations that  
15                  utility engineers make on these sort of upgrades are  
16                  offered, you know, based on their expertise, and they're  
17                  offered in good faith. I think they're trying to do their  
18                  job, which is not an easy job, and part of it is keeping the  
19                  lights on.

20                  But I will also stipulate that utilities are not  
21                  infallible. They have not discovered truth. And so  
22                  sometimes they make a mistake in terms of an excessive  
23                  upgrade requirement. And I think it's really expecting a  
24                  lot of the utility to be an impartial arbiter over a  
25                  situation where its own self-interest is at stake. And this

1 is a familiar situation for FERC, obviously, you know, in  
2 your quest to have J&R transmission access.

3 So I mean there is a little bit of a conflict of  
4 interest. You know, generally the unit to be interconnected  
5 is competing against a utility in the wholesale market. And  
6 I also think, you know, having also done a lot of work for  
7 utilities and spent time with utility clients in a prior  
8 life, you know, the addition of DG to a circuit does make a  
9 utility system engineer's life more complicated. You know,  
10 that's just a fact.

11 And so it's hard for the utilities to always come  
12 up with what we would view as a reasonable and cost-  
13 effective upgrade solution. And so we think the remedy is  
14 to bring in a third party, and SEIA's petition proposes that  
15 at the request and cost of the applicant, that a third-party  
16 expert reviewer would be brought in; but that the utility  
17 would still, as it must be, be the final decision maker. I  
18 feel that very strongly that, you know, utilities are  
19 accountable for reliability. And so in the end it is their  
20 decision. But, that they would be required to give due  
21 weight to the report of the independent expert.

22 And I think just bringing in somebody who is  
23 impartial, or at least a third-party expert, could really  
24 help solve this problem. You know, SEIA is not wedded to a  
25 particular process, but we are wedded to the notion of

1 third-party review and some type of orderly process.

2 Because the upgrade issue is right up there with Fast Track  
3 in terms of the concerns that our members have.

4 And that's all. I'll finish up in three minutes  
5 on that one.

6 MS. KERR: All right. And Mr. Salas.

7 MR. SALAS: I would like to again thank the  
8 Commission for the opportunity to participate in today's  
9 conference, and to offer SCE's perspective on SEIA's  
10 proposal that the SGIP be modified to provide for a third-  
11 party expert review of upgrades identified as a requirement  
12 for an interconnection.

13 SEIA's proposal requires transmission owners such  
14 as SEC to give substantial weight to third-party experts'  
15 findings and recommendations for the identified upgrades and  
16 to provide a fulsome explanation of the factual basis for  
17 rejecting the expert's recommendations.

18 It is SCE's position that qualified third-party  
19 experts can provide meaningful input during the  
20 interconnection process. That being said, we respectfully  
21 oppose SEIA's proposal because it will not facilitate  
22 meaningful dialogue between the utility and the third-party  
23 expert, but will instead likely create additional delays and  
24 disputes during the interconnection process.

25 During my prior panel discussion, I explained

1       that the SGIP is working as intended in SCE's service  
2       territory in that it has not unduly discriminated against  
3       solar developers. What I would like to expand on upon here  
4       is how the current SGIP already allows for meaningful  
5       dialogue between the utility and the interconnection  
6       customer with respect to upgrade requirements.

7               As indicated previously, we have studied nearly  
8       600 interconnection requests in the last three years under  
9       the SGIP. In our experience, the process works well--but  
10      only when the third-party expert is familiar with typical  
11      distribution system standards and practices.

12             Under the current process, applicants are  
13      encouraged to bring, and often do bring, engineering experts  
14      to the study results' meetings to discuss the upgrade  
15      requirements that SCE identified during the study process.  
16      During these meetings, we sometimes hear suggestions  
17      regarding modifications to proposed distribution system  
18      upgrades.

19             We are not averse to implementing the suggestions  
20      as long as the proposed changes meet SCE standards in terms  
21      of design, construction, operation, and maintenance, as  
22      those standards have been reviewed and approved by SCE  
23      experts in these respective areas.

24             This is crucial as distribution upgrades and  
25      interconnection considerations must comply with our

1 company's standards to ensure safe and reliable operation of  
2 our system for our employees and customers.

3 Nonstandard equipment design or construction may  
4 make hazardous safety conditions, problems operating the  
5 system, or longer delay times during a service restoration  
6 during an emergency.

7 We explain our comments on SEIA's proposal that  
8 we believe that an outside expert can provide a meaningful  
9 input during the interconnection process, provided that the  
10 expert is familiar with our distribution system, and in fact  
11 we have had instances where applicants' expert engineers  
12 were familiar with our systems and they suggested  
13 appropriate changes that actually did reduce their costs  
14 significantly.

15 We also believe that the applicant who hires such  
16 experts will benefit from involving the expert at the start  
17 of the application process, as opposed to waiting until  
18 after the studies have been completed and the resources have  
19 been already submitted--provided to the applicant.

20 Waiting until the studies are provided will only  
21 serve to further delay the process and potentially increase  
22 the cost to the applicant.

23 In conclusion, we respectfully submit that the  
24 SCIP works well for all applicants who take the time to hire  
25 a third-party expert that is familiar with the distribution

1 system standards and practices. We hope that the  
2 perspective that we have provided here today is helpful to  
3 the Commission and some of the participants and we look  
4 forward to further discussion.

5 That's it.

6 MS. KERR: Thank you. Mr. Steffel.

7 MR. STEFFEL: Thank you. Steve Steffel  
8 representing PEPCO Holdings, Inc., and the three utilities  
9 we have, Atlantic City Electric, Delmarva Power & Light, and  
10 PEPCO.

11 The first thing I wanted to mention, just to  
12 start with studies and the upgrades, looking back in 2011 we  
13 had about 1700 applications, 76 megawatts added to the  
14 system, and there were about 35 studies.

15 Of the 35 studies, a number of them did not  
16 proceed to build. So you can see that with that small  
17 framework there's not tons of projects that needed upgrades,  
18 but of those 35.

19 The first thing we think about is process. We  
20 mentioned that. We've had public forums that would explain  
21 to developers the process both on the NEM side and the  
22 wholesale side. And on the wholesale side, they run through  
23 our ISO, PJM, and Steve Herling will probably touch on some  
24 of that. It's a very structured process, including review,  
25 reviewing the transmission impacts and so on and so forth.

1           And we follow that very carefully. We are in a  
2 sense sub to them. They are the project manager on those  
3 wholesale projects.

4           The next thing that is important that was  
5 mentioned is criteria. And it is true, we have had to  
6 develop a lot of criteria for DERs being added into the  
7 system. And anything that has been--or is geared to the  
8 understanding of the developer, we have put into our public  
9 documents. We have some interconnection documents that are  
10 on websites. And they're updated yearly, every couple of  
11 years. And so we probably have some more things that we've  
12 put in.

13           We actually are putting them right in the  
14 studies, some of the very salient points, so that they  
15 understand what our criteria is and why we would require an  
16 upgrade, and so on. And these are very valid points and  
17 we're trying to address those kinds of things right up front  
18 so we don't run into issues there.

19           Currently we've done most of our studies with  
20 third parties. And we do make those studies available when  
21 they're finished to any developer that wishes to have them,  
22 all practically 50 pages of them or so. And we've set down  
23 and discussed with all of the projects that have needed  
24 upgrades, and we haven't had any that have required, you  
25 know, review by a third party yet. I mean, I understand

1       some of the concerns. But we've been able to work through  
2       that.

3               One of the things we're working on in-house, and  
4       we've mentioned it, is that we are working on our own time  
5       series load flow program with an automated study tool so we  
6       can save developers both time and cost. And I think that  
7       will be a significant benefit to them.

8               Now some concerns with third-party reviews. Each  
9       utility has its own planning and operating criteria and  
10       construction standards based on national and state  
11       standards, and best industry practices. And a third party,  
12       whoever is reviewing the results of a study, would need to  
13       follow those when assessing the recommended upgrades that  
14       were put together as a result of the results of the study.

15               Now it's going to add time and cost to studies.  
16       There will be added effort by the utility to explain the  
17       study results, study criteria, construction standards, et  
18       cetera, and to provide the needed information for the third-  
19       party to do the review.

20               We haven't had to have that to this point. We've  
21       had good discussions, and talked with our developers who are  
22       putting things in, and anything that they suggested, if we  
23       could accommodate them, or if there were options, we made  
24       those available.

25               But the main thing was to build the system to the



1 standards and criteria that we had laid out as a utility.  
2 And we do that whether it's an internal project or an  
3 external project. We don't build them differently.

4 So my only concern would be it does add time. It  
5 does add cost. All those things have to be explained. And  
6 it does open up the possibility for some maybe contention,  
7 or whatever, but I don't see it as a major issue because we  
8 haven't had too many--haven't had any issues of that nature  
9 up to this point.

10 MS. KERR: Okay. Thank you. And Mr. Herling.

11 MR. HERLING: Good afternoon.

12 My comments are related to the projects as they  
13 proceed through our interconnection process, specifically to  
14 participate in either the PJM energy market or the capacity  
15 market, or both for that matter. This is a relatively small  
16 slice of the projects that are connecting in PJM. We have a  
17 lot--a very large number of net energy metering projects, in  
18 the thousands, or tens of thousands that PJM does not get  
19 involved in. We have processed about 600 projects through  
20 our interconnection queue.

21 At this point I think we have about 3,100  
22 megawatts that are either in service or are currently under  
23 construction. So from a megawatt perspective, it's a fairly  
24 large number. But from a project perspective, I think in  
25 New Jersey alone we have had 14,000 requests under net

1 energy metering, and in all of PJM we've only had about 600  
2 requests to get into our markets.

3 Now procedurally we use the same process that we  
4 use for large generators: feasibility study, system impact  
5 study, facilities study, and ultimately execution of a  
6 Wholesale Market Participant Agreement, or an  
7 Interconnection Service Agreement.

8 The difference really is we have screening tools  
9 that we use to determine whether or not there will be  
10 network impacts that need to be considered--meaning higher  
11 voltage, 100 kV and above impacts.

12 The solar projects that we look at are typically  
13 in the range of about a half a megawatt up to 20 megawatts.  
14 So by and large we have seen very few impacts on the higher  
15 voltage transmission, and when that is the case we then move  
16 the project to the transmission owner for a look at the  
17 distribution and the subtransmission voltage levels--12 kV,  
18 34.5 kV, and such.

19 The vast bulk of the analysis for those projects  
20 has to be done by the distribution owner. We just don't  
21 have the involvement in those facilities. The bottom line  
22 is, we still manage the process with the transmission owner  
23 and the interconnection customer. We still facilitate all  
24 of the meetings around the different study results. In many  
25 cases, the interconnection customer works with a consultant

1 throughout the process. So we facilitate meetings. We take  
2 comments at each stage of the process, and we'll factor in  
3 their suggestions into any upgrades or results that perhaps  
4 we need to take a different look at.

5 The bottom line is, I provided in my materials a  
6 map. There is a significant number of projects, if you look  
7 at the geographical areas. So we still do have to manage  
8 the rights of the different projects since they are trying  
9 to connect back into our markets. So the study process  
10 still has to follow the timeliness that are dictated in the  
11 PJM Tariff in terms of, you know, the completion of the  
12 studies, and the amount of time that the developers have to  
13 review the results with PJM, with the transmission owner and  
14 their consultants, and get responses back to us so that they  
15 can then move on to the next stage.

16 At this point, we have had, you know, as I said,  
17 a fair number of the interconnection customers using this  
18 meeting process to review the study results, to review the  
19 upgrades with their consultants. I'm not sure that we need  
20 to have a third party completely separate from the customer  
21 and their consultants and PJM and the transmission owners.  
22 It seems so far that we've been able to get through the  
23 review of the upgrades and the projects that are moving  
24 forward have been able to identify the required upgrades and  
25 move on.

1                   We have so far had about a 65 percent dropout  
2 rate among solar projects. The dropout rate in the big  
3 queue is probably closer to 88 percent. But that could just  
4 be because the solar projects are newer to the queue. We  
5 have still a couple of thousand megawatts of projects under  
6 study. So by the time that wave comes through, it may creep  
7 up a little bit.

8                   The bottom line at this point, I think the  
9 process is working reasonably well. We are managing to keep  
10 it reasonably close to the tariff timeliness that are  
11 specified. And we have gotten a fair number of projects  
12 connected to the system.

13                   Our experience is improving, as are our  
14 transmission owners, in terms of the types of analyses that  
15 they have to perform. And I think generally it's working  
16 pretty well at this point.

17                   Thank you.

18                   MS. KERR: Okay. Thank you. I guess the first  
19 question I have is: How would the independence of the  
20 third-party be assured? Whoever is interested in answering  
21 that?

22                   MR. ADAMSON: Could you repeat the question?

23                   MS. KERR: How would the independence of the  
24 third-party reviewer be assured?

25                   MR. ADAMSON: Well, I think--

1                   MR. DAUTEL: I think, just for some background,  
2 we got some comments that there was some question about  
3 whether the independence could be assumed in these cases.

4                   MR. ADAMSON: You know, all I can speak to you is  
5 to what SEIA specifically proposed, and we proposed that  
6 essentially that you as a developer be able to bring in what  
7 you considered to be an independent third-party reviewer.

8                   We didn't--basically, they are able to come in  
9 and hire their own experts. So I don't think there's  
10 necessarily some type of litmus test. But obviously if you  
11 pick somebody who is viewed as, you know, biased, that  
12 expert is not going to help you nearly as much as somebody  
13 who is viewed as playing it straight and somebody who is  
14 respected by both sides of the equation.

15                   But we weren't thinking that there would be some  
16 kind of a specific standard. I can't speak--Jim offered  
17 some other thoughts, but--

18                   MR. TORPEY: Yes. So this is speaking only for  
19 SunPower, not for SEIA, because this is not a SEIA petition,  
20 but I would envision something where you would have  
21 something like when you choose an arbitrator in a land  
22 dispute, or an appraisal dispute, where you have different  
23 parties suggesting people. And then you pick from a common  
24 group.

25                   In other words, I would see something that this

1 expert would be somebody who would be approved by the  
2 utility and approved by the developer. And the idea would  
3 be to have a sort of a cadre of people who you would choose  
4 from, just as you do appraisal firms. And again, it would  
5 be important I believe from the utility perspective to have  
6 that person vetted so that they would understand something  
7 about the nuances of the system, et cetera, so that you  
8 wouldn't just be, you know, kind of plucking people out of  
9 the air; you would be plucking people, or sort of engaging  
10 people who have more experience and at the same time would  
11 be recognizing from the utility--from the developer side  
12 some of the nuances, or some of the alternative ways to come  
13 up with solutions that might be a little more cost  
14 effective.

15 MS. KERR: Dan?

16 MR. ADAMSON: Yes, you know, I also said I think  
17 we're flexible on this issue. So I think what Jim is  
18 talking about falls within the ambit of the kind of idea  
19 that SEIA is supporting. We just want to get some type of  
20 third-party expertise involved. There's different ways to  
21 do it.

22 MR. QUINN: Could I just ask a follow-up? Can  
23 the ISO or the RTO, if there is one in the area, serve that  
24 purpose of independence? What Mr. Herling was talking about  
25 sounded a little bit like you were facilitating meetings

1 between the developer company and the interconnection  
2 customer. Do you feel like you were applying engineering  
3 judgment in facilitating those meetings? Or were you mostly  
4 there as a facilitator in kind of this arbiter role?

5 MR. HERLING: Our ability to do that is fairly  
6 limited. We do facilitate those meetings. At higher  
7 transmission voltage levels I think we have a lot of  
8 expertise that we can apply to discussion of what upgrades  
9 may be required. But once you get down into the  
10 distribution system, it would be probably better to get  
11 firms that have that expertise specifically. So I don't  
12 think we could provide that level of expertise to provide  
13 that function.

14 MS. KERR: Mr. Torpey?

15 MR. TORPEY: I just want to be clear about one  
16 thing. First of all, what I'm not suggesting is that you  
17 don't have a third-party person engaged at all in the  
18 conversation from the very beginning.

19 I think any solar developer who has got any  
20 concept of how to get things done will be sitting down with  
21 the utility and PJM as one of the first things they do, with  
22 an independent consultant--you know, with their own third-  
23 party, or it could be someone from within the company--but  
24 engineering expertise to sit down and talk from the very  
25 beginning on how to put together the interconnection study.

1                   So it's not let's wait to the end and then kind  
2                   of make this process--kind of force this process. So that's  
3                   the first thing.

4                   And the second thing is this need for a third-  
5                   party person, I think as Steve said and other people have  
6                   said, many times this works very well and it's not necessary  
7                   to do this. This would be sort of an extraordinary  
8                   circumstance where there was a real dispute.

9                   And what we're talking about is a lot of these  
10                  costs being borne by the developer. So no developer is  
11                  going to go through this whole process unless there's really  
12                  something significant at stake. So this is not something  
13                  that would be the norm. This is something that would be  
14                  more, in my opinion at least, more an extraordinary or an  
15                  unusual event.

16                  But at least it would give a process, and it  
17                  would provide a mechanism for this kind of third-party  
18                  opinion to be codified and provide more of a record for a  
19                  real codification of what the dispute might be.

20                  MS. KERR: Mr. Herling.

21                  MR. HERLING: Yes, I just--I agree with Jim's  
22                  comment about the importance of having the developer bring  
23                  expertise with them, consultants or staff, whichever, all  
24                  the way through the process.

25                  And honestly I think that will serve in most



1 cases to bring the same value that a third party would  
2 bring. We have consultants all the time challenging the  
3 upgrades that are identified, and suggesting alternatives,  
4 and we'll ensure that they go back and look at those and  
5 we'll determine whether it makes sense or not.

6 To have a truly independent third party, we don't  
7 have any experience with that so much in the interconnection  
8 process, but in our regional transmission expansion planning  
9 process we do now accept proposals from independent,  
10 nonencumbent transmission owners that they would like to  
11 develop in PJM.

12 We will hire firms, siting/engineering firms,  
13 construction firms, to do estimating and to evaluate the  
14 risks associated with siting and regulatory, et cetera, for  
15 those projects to kind of balance the estimates that the  
16 parties are providing to us.

17 We're using the same firms that our transmission  
18 owners are using, and that the nonencumbent developers are  
19 using. So what we typically do is have a bunch of them  
20 under contract, and in a given geographical area we try to  
21 get somebody who is not already working for the nonencumbent  
22 or for the transmission owners. And it's a challenge. And  
23 let's face it, they're not making nearly as much money  
24 working for PJM as they will eventually for, you know, the  
25 successful proposer of one of these projects.

1                   So it is a challenge to find a true independent,  
2                   and they often have to ensure that they're working with a  
3                   crew where they can put a wall up between other parts of  
4                   their business.

5                   MS. KERR: Okay. Thank you. Mr. Salas.

6                   MR. SALAS: Yes. I would like to address very  
7                   quickly the--you know, as I stated before, we have the  
8                   examples in the current process where applicants bring  
9                   experts. I can think of at least three off the top of my  
10                  head where the cost of interconnection is significantly  
11                  high, so we're not talking about your simple little  
12                  interconnections, but distribution upgrades, long-line  
13                  extensions. And under the current process we already have  
14                  the ability and the applicants have that ability to bring  
15                  experts to basically challenge or provide for alternative  
16                  solutions.

17                  And under those types of projects that I'm  
18                  thinking about, I mean we are looking at alternative ways to  
19                  present the substitution upgrade, or alternative ways to do  
20                  a significant line upgrade which saves the applicants  
21                  millions of dollars.

22                  So that process is already in place. And I just  
23                  find it difficult that we're talking about adding an  
24                  additional component that can't really not--I'm not sure  
25                  it's really going to serve the needs of, you know, SEIA is

1 proposing.

2 MS. KERR: Thank you. I guess I would like a  
3 little more information on how the proposal is different  
4 from the current provisions in the SGIP, if one of the first  
5 three panelists would address that?

6 MR. ADAMSON: In one respect, it's diff--at least  
7 the SEIA proposal, not the Torpey SunPower SEIA proposal--it  
8 just says that the utility must give due weight, or  
9 substantial weight to the conclusions of the expert. So  
10 that is a significant difference from the status quo.

11 MS. KERR: Okay. Mr. Gilliam?

12 MR. GILLIAM: I talked about actually regulatory  
13 oversight. I think Jim framed it as essentially what we  
14 used to call a "technical master" on the engineering side.

15 This is not a pervasive problem, but there is an  
16 issue that has come up a number of times with my former  
17 company, and my sense was that--and with a lot of regulatory  
18 experience--over time when there's an opportunity for review  
19 of assumptions that are made, review of costs that seem  
20 unusual or in some cases maybe exorbitant, over time the  
21 regulatory process results in a better, narrow, defined set  
22 of costs and cost elements.

23 And I don't think that opportunity is captured in  
24 the SGIP today. There is a dispute resolution process in  
25 Section 4, which of course is related to transmission

1 providers because it relates to the FERC. But in terms of  
2 setting an example for state standards, in my view some  
3 additional oversight is needed whether it's a third-party  
4 independent arbiter such as a technical master, an  
5 engineering master that would be the final decision maker,  
6 or an opportunity to actually take the dispute to the state  
7 agency.

8 And I realize that that's not your purview, but  
9 that's something that we see as needed. Thank you.

10 MS. KERR: Okay.

11 (Pause.)

12 I'm just taking a minute to look at my notes. I  
13 guess, are there other options than what's been talked about  
14 here? The LGIP provisions seem to be not so popular with  
15 the panelists. Are there other provisions that you've  
16 thought about that should be considered?

17 (No response.)

18 MS. KERR: Seeing none, I do have a follow-up--  
19 oh, I'm sorry, Mr. Torpey, go ahead.

20 MR. TORPEY: This is not quite to the point, but  
21 I think in terms of what you heard, there are a number of  
22 utilities and ISOs who essentially are establishing best  
23 practices, and being very inclusive in their processes of  
24 welcoming developers to bring in technical people, et  
25 cetera, publishing their timeliness so it's very transparent

1       what those timeliness are, and when we can expect  
2       information back.

3               But unfortunately our experience has been that  
4       that's not true of everybody. So essentially when you say  
5       what else? What are our other alternatives? The  
6       alternatives that would be very helpful, if there was a  
7       requirement that everybody did what Steve is talking about  
8       doing in terms of making their requirements, their technical  
9       requirements, transparent and so everyone would know what  
10      they are. At the same time, the timeliness and when people  
11      can be expected to get answers and get studies back, and the  
12      process that they should go through in order to make sure  
13      that that moves sufficiently. That would be very helpful,  
14      and I think a lot of the difficulties that sort of people  
15      are sensing as developers with the process would really be  
16      addressed by essentially make sure those best practices are  
17      done throughout the country.

18             MS. KERR: Okay. So just to follow up, you're  
19      talking about what Mr. Steffel talked about in his opening,  
20      the different practices?

21             MR. TORPEY: Yes, the criteria that's  
22      established, and what are those criteria, and how have they  
23      dealt with these situations in the past. And, you know,  
24      when would they require something like a transfer trip, or  
25      some kind of the technical requirements; that different

1 utilities vary on. So it's not that every utility--I'm not  
2 suggesting that every utility would have to adapt--adopt the  
3 same set of standards. But what I am saying is that,  
4 whatever those standards are, they should be published and  
5 everybody should know what they are so a developer knows  
6 what they have to address beforehand and doesn't have to  
7 wait three months to hear it.

8 And again, not everybody is doing that. But  
9 there are some utilities that tend to do that. And that's  
10 the sense sometimes that we put development interconnection  
11 proposals in and it ends up being a black hole, and no one  
12 knows what is happening to it. And maybe it comes back six  
13 months, and they say you didn't do X, Y, Z, and if we would  
14 of known it beforehand, that wouldn't have been an issue.

15 So it's a matter of transparency, and it's a  
16 matter of knowing, you know, what the timeliness are for the  
17 development process.

18 MS. KERR: Okay. So we have talked about this  
19 some, that revising, or allowing for more third-party review  
20 of upgrades would add cost and time to the interconnection  
21 process. And I guess I want to get a feel for what we think  
22 those timeliness would be.

23 What would be acceptable? If anyone would like  
24 to address that? Mr. Adamson?

25 MR. ADAMSON: Well I think as developer you are

1           only going to resort to the third-party process, or expert,  
2           if there's a lot of money on the table.

3                        I mean, if somebody is saying--the utility is  
4           saying you've got to replace that transformer or that  
5           substation, or something, you know, that cost \$1 million,  
6           you know, you may save you and your company and your  
7           customers quite a bit of money by spending some money on an  
8           expert. So I think it just depends.

9                        And you might get through your situation quicker,  
10          too. I mean, you know, you wouldn't want to--that's what  
11          Jim was talking about earlier. I mean, this is not  
12          something you would just kind of do routinely; you'd be  
13          doing it if you were in a crisis situation with a utility  
14          that, for whatever reason, you felt was being intransigent.

15                       MS. KERR: Okay. Mr. Gilliam?

16                       MR. GILLIAM: I just want to make sure we're  
17          differentiating between the different types of third-parties  
18          here. I think there's the third-party that would be in a  
19          sense the final arbiter of an engineering dispute. The  
20          other type of third-party that at least I've referenced a  
21          couple of times is one that is retained by the developer to  
22          review the interconnection feasibility study, system impact  
23          study, and so forth, and that might create that dispute to  
24          begin with.

25                        In some cases, while it would be great to

1 have--and Dan is right, that there's a cost issue here--if  
2 you have a project that's relatively small, on the order of  
3 a couple of megawatts, it's hard to know when the right time  
4 is to bring in a third-party engineering expert until you  
5 see either some initial indication of the concerns of the  
6 utility, the potential upgrade requirements, and in relation  
7 to the cost of the project if it seems out of line, so to  
8 speak, then that's when the developer may want to either  
9 bring in a third-party engineer just to hire for itself, for  
10 its own edification, or to cancel the project. And that's  
11 usually the point in time that that decision is made.

12 MS. KERR: Okay. Mr. Herling?

13 MR. HERLING: I think probably the only thing I  
14 can add, my concern would be we get a lot of projects in  
15 very close electrical proximity to each other, and they all  
16 have pending rights with respect to our marketplace.

17 So if we're talking about some form of an  
18 arbitrator, you know, at the end of the day when you have a  
19 dispute that you can't resolve otherwise, whatever we do we  
20 have to be able to do it quickly so that the project that  
21 has the issue is not holding up, you know, a handful of  
22 projects behind them in the queue who may be anxious to move  
23 forward with their projects as well.

24 It would concern me to bring someone completely  
25 new to the process in at the tail end and have to go through



1 months of getting them up to speed, and some form of  
2 hearing, so that they can then pass judgment on the results  
3 that have been developed. And then we have to go back and,  
4 you know, provide some weighting to those results and  
5 determine whether or not a different result is justified.

6 Everybody behind that position in the queue is  
7 going to be impacted adversely.

8 MS. KERR: Mr. Salas?

9 MR. SALAS: Yes. I just wanted to re-emphasize  
10 again, and perhaps it is that it's a practice of Southern  
11 California Edison, where we already provide that ability.  
12 Perhaps other parts of the country don't do that, but at SCE  
13 you can bring a third-party and talk about substation  
14 problems, and talk about alternatives, and talk about  
15 different ways to mitigate the problem.

16 So adding additional steps in the process, as  
17 Steven indicated, can potentially put you in a situation  
18 where you are waiting for this third-party expert to make a  
19 decision. In the meantime, you have other projects that are  
20 in back that are waiting for this decision to be made.

21 So there's probably, you know, for the amount of  
22 projects that I have seen in the last three years that have  
23 this potential condition that could be resolved by already  
24 having the language in the tariff, it seems to me that  
25 adding this additional language, or additional provision can

1       actually provide additional delays that may affect a lot of  
2       other, more projects than actually providing the benefit  
3       that really is already there, you know, as part of the  
4       process itself.

5               MS. KERR:   Okay.   To come back to the LGIP  
6       comment process, I guess I would like to address it to the  
7       utilities.   We heard from the solar panelists.   Does that  
8       process, if you're familiar with it, provide meaningful  
9       input?   Or do you have any other comments on that process?  
10      Mr. Herling?

11              MR. HERLING:   YOu know, I think there's plenty of  
12      opportunity in that process for review and input, and many  
13      of our developers come, again, with consultants and have  
14      over the years offered all sorts of alternative solutions to  
15      the ones that we have developed between PJM staff and our  
16      transmission owners.

17              So I think that process has worked very well.  
18      The application of the same process to the smaller projects,  
19      the primary shift is that the upgrades are now down on the  
20      distribution system.   So my staff are certainly involved,  
21      but the expertise that we can bring to bear is a slightly  
22      different focus there.

23              We don't have as much expertise in distribution  
24      as we do in transmission.

25              MS. KERR:   Okay.   Thank you.   Mr. Salas?

1                   MR. SALAS: Yes. As I stated, you know, the  
2                   current process works. But now adding this language that's  
3                   going to apply to all the projects, and now you have to wait  
4                   30 business days after we provide the study, and then we  
5                   have to wait 30 business days for the applicants to provide  
6                   comments, it really is going to create a delay on all the  
7                   projects.

8                   By trying to help a few projects here and there  
9                   that have those problems, you are going to create a delay on  
10                  all the projects. Because now you have additional language  
11                  there that we need to comply with.

12                  Again, going back to the fact that we already  
13                  have the process in place that addresses the condition  
14                  itself, the problem, and I don't think you need additional  
15                  times to actually add additional delay.

16                  MS. KERR: Okay. Thank you. Mr. Gilliam?

17                  MR. GILLIAM: Yes, I think I could just say as a  
18                  practical matter, we are not looking to delay the process at  
19                  all. Any delay adds cost, and for solar developers it makes  
20                  a project much more difficult to finance. So I think the  
21                  narrower thing we've been discussing outside of the LGIP  
22                  process is the potential for an engineering master, which  
23                  potentially could add some delay to some limited number of  
24                  projects. But I think all of us have an interest in working  
25                  together to keep those delays to an absolute minimum.

1 MS. KERR: Okay. Mr. Steffel?

2 MR. STEFFEL: Most developers come to us with the  
3 experts that are doing various types of electrical  
4 engineering work for them. So it would seem to me that most  
5 times those experts that they have as part of their team can  
6 act as that commentator for them, whether they feel there's  
7 something out of line with what the utility is requiring.

8 And then they can already provide that feedback.  
9 And they are normally on the calls that we have when we  
10 share results. We have meetings at the company with them  
11 when things are starting to move ahead. So there's plenty  
12 of dialogue there.

13 I'm not sure what another engineering party would  
14 bring to the, you know, benefit the whole project.

15 MS. KERR: Okay. Thank you. I don't have any  
16 other questions. Does any of the staff, or do any of the  
17 panelists want to say anything to wrap up?

18 (No response.)

19 MS. KERR: Okay. Well I would like to thank  
20 everyone who provided their input today. I know some of you  
21 travelled a long way. We really appreciate it.

22 We have heard a lot of discussion about how small  
23 generator interconnection is increasing in both the number  
24 of applications and in the amount of generation. We have  
25 also heard a lot about how the existing small generator

1 interconnection procedures and agreements could be improved.  
2 Some of the suggestions have included creating more  
3 transparency in the supplemental review process, and  
4 providing developers with information to clarify siting  
5 decisions.

6 Some panelists have suggested more time and  
7 opportunity for current processes to address issues, while  
8 others state a need for guidance now.

9 Staff will be reporting to the Commission its  
10 views on the ideas expressed today, as well as any comments  
11 that are filed in this proceeding. We encourage those  
12 submitting further comments to be specific regarding  
13 potential changes to the Pro Forma SGIA and SGIP, as well as  
14 any comments on the types of processes the Commission could  
15 us to achieve potential reforms. These comments are due in  
16 30 days, on August 16th, in Docket Number AD12-17-000.

17 Again, thank you for coming, and this concludes  
18 today's technical conference.

19 (Whereupon, at 3:48 a.m., Tuesday, July 17, 2012,  
20 the technical conference in the above-entitled matter was  
21 adjourned.)

22

23

24

Document Content(s)

0717review.TXT.....1-215

33672.DOC.....216-429